

RR/SF/BETTER BRITE
COMBINED SUPERFUND/405011090
RPTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF WISCONSIN
DEPARTMENT OF NATURAL RESOURCES

BETTER BRITE CHROME AND ZINC SUPERFUND
PROPOSED CLEANUP PLAN

PUBLIC MEETING


THURSDAY, AUGUST 8, 1996

7:00 p.m.

DE PERE CITY HALL
DE PERE, WISCONSIN

PRESENT:

- MARY YOUNG, Wisconsin Division of Health
- TERRY EVANSON, DNR Project Manager
- BOB STROUS, Environmental Repair Program
- PAUL KOZOL, Engineering Resource Technical Advisor



FORM CSR - LASER REPORTERS PAPER & MFG. CO. 800-626-6313

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. YOUNG: I think we will go ahead and get started. It sounds like the tape recorder is going. I want to welcome you tonight. It's a beautiful night outside, and I think the fact that you are here speaks to the fact that this is an important issue for you. And so we will try and give you the information that you need.

This meeting is being held for two reasons. One is that the DNR needs to satisfy certain requirements. They have to have a meeting before they undertake a cleanup, and they have to get your approval, essentially, for that cleanup. And tonight they are going to be presenting a cleanup plan that they think will work at the two sites and they will be asking for your comments, as well as -- how long will the comment period go?

MS. EVANSON: Well, as long as -- oh, you mean the end of the comment period. As long as August 26.

MS. YOUNG: So through August 26 they will be accepting public comments. As I mentioned that we also want to answer your questions, make sure that we are answering your questions tonight as well.

The questions that we will be prepared to

1 answer is what does the DNR believe is the best
2 method for cleaning up the two sites. They will
3 answer the question why they believe this is going
4 to be the best method. They will also be -- or we
5 will be discussing how we can assure that these
6 methods will be protective for public health; we
7 will be answering that question as well.

8 And I hope that they will be able to
9 answer what happens if it doesn't or how will they
10 know if it's not working and then what do you do.

11 Are there any questions that you came to
12 have answered tonight that are on your -- that you
13 can think of right now so we can make sure that we
14 answer those?

15 MS. KONRATH: If they dig a ditch, where
16 are they going to dig it.

17 MS. YOUNG: I'm sure that when you came
18 here tonight you had expectations. Are there other
19 questions that you wanted answered?

20 UNIDENTIFIED AUDIENCE MEMBER: The DePere
21 well, is there any concern as far as the
22 contaminants migrating any closer than they are to
23 the DePere well or is that a non-issue?

24 UNIDENTIFIED AUDIENCE MEMBER: If you turn
25 the whole place into concrete, what happens to the

1 surface runoff water.

2 MS. YOUNG: This is a little different
3 from a normal public meeting in that this is a legal
4 process and there is a court reporter here tonight.
5 And so, after we have given presentations and we are
6 at the point of accepting additional questions and
7 concerns and comments, we would like for you to tell
8 your name, or a name. If you don't want to tell
9 your name you could make one up, I suppose. We want
10 to be sure we have a name with a comment and so when
11 it comes to that we will ask you to give a name.

12 And then, finally, I want to make sure
13 that the people who want information get
14 information, and I know as well as you do that there
15 are some people who are not here tonight. If you
16 know of people who have described concerns and they
17 are not here because they -- maybe it's not
18 convenient or maybe they didn't know about it or
19 maybe they are not physically able to come to a
20 meeting, I would really like to know who those
21 people are so that we can make sure we make phone
22 contact or call them and give them the information
23 they need.

24 So, with that, I'm going to ask the people
25 who are here to do presentations to introduce

1 themselves. And since I didn't introduce myself
2 I'll start there. My name is Mary Young, and I'm
3 not with the DNR, I'm with the Wisconsin Division of
4 Health. We have been following this site, reviewing
5 information and communicating with citizens for as
6 long as the State has been involved with the
7 Superfund process.

8 And, then, also on the agenda is Terry
9 Evanson.

10 MS. EVANSON: I'm Terry Evanson, and I'm a
11 hydrogeologist with the Department of Natural
12 Resources, and I'm the project manager for the
13 Better Brite site, and I'll be giving the
14 presentation and the proposal for the cleanup
15 tonight.

16 MS. YOUNG: Thank you. Bob?

17 MR. STROUS: My name is Bob Strous of the
18 Environmental Repair Program of the State of
19 Wisconsin associated with the Superfund Program.
20 I'm not giving a presentation tonight, but if you
21 have any questions of me I'll be happy to answer
22 them.

23 MS. YOUNG: Paul?

24 MS. KOZOL: Good evening. I'm Paul Kozol.
25 I'm the Engineering Resource Technical Advisor for

1 the project.

2 MS. YOUNG: There are other people here
3 that might want to introduce themselves.

4 MS. ERDMANN: I'm Kathy Erdmann, and I'm
5 with the Department here in Green Bay. I'm a
6 hydrogeologist and I have been involved on the local
7 level in working with transporting contaminants from
8 one site to another where it's being treated.

9 MS. FASSBENDER: I'm Judy Fassbender. I'm
10 also a hydrogeologist with Hydro-Search. I've been
11 contacted by the Department of Natural Resources to
12 help evaluate the alternatives for cleaning up the
13 Better Brite site.

14 MS. YOUNG: Are there any representatives
15 from DePere Health here tonight? Yes, sir.

16 MR. HOOYMAN: Jim Hooyman, Alderman
17 District 3, and I'm just here to see -- stay on top
18 of what's going on.

19 MS. YOUNG: Always good to know that the
20 alderman is here.

21 Mr. COWLES: I'm state senator Bob Cowles.
22 I'm simply monitoring things today.

23 MS. YOUNG: With that, Terry, would you
24 like to describe what's going on here.

25 MS. EVANSON: As Mary said, we are happy

1 to be here tonight to present this recommendation
2 really for the cleanup of the groundwater at the
3 Better Brite zinc and chrome shops. And, as many of
4 you know, in 1993 there was a major soil removal
5 action that took place at both the Better Brite
6 chrome and zinc shops. And I know I talked to
7 people on the phone that said well, I thought that
8 site was all finished. And what I am going to talk
9 to you tonight about is that the chrome, which is
10 the chrome-contaminated soil, the contamination was
11 indeed, has indeed been removed, that there was
12 still residual contamination in the groundwater
13 surrounding both of those sites.

14 And that's what the focus of our
15 discussion tonight is going to be about and the
16 recommendations for the cleanup.

17 So the first thing I thought most of you
18 are probably aware of is, but for those who aren't I
19 thought we might just show you a map. We will see
20 where our projector is projecting. The chrome and
21 -- the zinc shop is located on South Sixth Street,
22 while the chrome shop is located, actually, about a
23 half mile south on Lande Street just off of Sixth
24 Street here in DePere.

25 On both of those properties chrome-plating

1 was conducted at the zinc shop for almost twenty
2 years, according to our records from the late 1960's
3 until about 1989 and at the chrome shop from the
4 mid-1970's until 1985.

5 There is a very long history associated
6 with both of these locations, and I'm not going to
7 actually review all of that history tonight, but the
8 short version of it is that, while there was a
9 significant amount of contamination both of surface
10 soils and the deeper soils at these sites and
11 there's been a number of soil removals where the
12 soil was actually dug up and hauled away, and the
13 main removal, as I said, in 1993 when -- these are
14 at the chrome shop, which is the one south here on
15 Lande Street.

16 When surficial excavation -- this is a
17 close-up of the shop, there is a fence now around
18 the chrome shop. But surficial soil was removed not
19 only on the property but in surrounding properties,
20 and then this blue sort of footprint I've drawn
21 here, there was actual excavation.

22 MS. KONRATH: You said surrounding
23 properties. I didn't see them take any out of my
24 property. On any of the properties.

25 MS. EVANSON: I was going to say this may

1 not have all -- I know that there was surficial soil
2 removal early in the '90's. That's what the records
3 indicated, that garden soils and the like that was
4 removed around the chrome shop.

5 MS. KONRATH: They were samples.

6 MS. EVANSON: There were samples. Okay.

7 MS. KONRATH: Little samples.

8 MS. EVANSON: But was there not --
9 according to our records, there was actually soil
10 removed in gardens and places around the shop.

11 MS. KONRATH: They did do that once. They
12 did that in '82 or something like that.

13 MR. KONRATH: He took the soil that he did
14 and brought it over on his property and dumped it.

15 MS. KONRATH: But they did not take any
16 soil when they were there in '93.

17 MR. KONRATH: There was nothing really
18 removed. It was put over on the other property.

19 MS. EVANSON: Well, at any rate, like I
20 said, according to the records that we have, the
21 surficial soils were excavated in the area outlined
22 here by this black line and then there was an
23 excavation where the treatment building had been
24 down to twenty feet where the soils were removed and
25 a large excavation was placed in the ground and

1 backfilled -- pipes were laid at the bottom,
2 backfilled with pea gravel, and essentially water --
3 and I'm going to show you a map of that in a minute
4 -- now flows into that excavation and is removed.

5 And, similarly, at the zinc shop, at the
6 zinc shop, here, the only soil removal was, in fact,
7 on -- directly on the -- essentially under the
8 footprint of the building that had been in place, so
9 that the immediate soil down to twenty feet again
10 was removed, plastic was placed in the very bottom,
11 pipes were laid, pea gravel was filled up and a sump
12 pump essentially, a very large one, was created in
13 the excavation that was left.

14 Now, I wanted to talk a little bit about
15 the question about the municipal well. The
16 municipal well number two for DePere is located
17 about twelve hundred feet or so from the zinc shop.
18 And the investigation that we have done shows us
19 that there is no deeper contamination of the soils.
20 I'm going to get into in just a moment what our
21 investigation shows as far as the depth of
22 contamination.

23 But what we have found with the wells, and
24 we've got a number of wells, there's little circles
25 here placed around here (indicating), those

1 monitoring wells show that the contamination is
2 really limited to about twenty feet beneath the
3 surface in the groundwater and that the deeper
4 water, that is, the water that's down in the bedrock
5 and below that, does not show any chrome
6 contamination.

7 And so we are not concerned about
8 contamination moving toward the municipal well,
9 because we don't see any contamination beneath the
10 twenty-foot layer. And there is additional clay
11 beneath that twenty feet. There is significant
12 levels of about 170 feet from that, about thirty
13 feet below ground to 170 feet below ground there is
14 dolomite bedrock and then sandstone beneath that.

15 The municipal well here draws its water
16 from about 760 feet beneath the ground, and I'm
17 going to show you a cross-section in a moment of the
18 geology. My main point in showing this picture
19 right now is to show you the area where the
20 excavation was performed in 1993.

21 The sump pumps -- and this is just sort of
22 a little drawing I made here, so it's -- this is not
23 to scale or anything like that. It's meant to help
24 you understand how the sump pumps work.

25 So after the excavation at both sites

1 after soil was removed to twenty feet below ground,
2 what happened was plastic was placed along the
3 bottom and pipes were placed at intervals in the
4 excavation. And then there was little pea gravel
5 put in, a clay cap was placed over the entire
6 excavation, and then a stand pipe, essentially it's
7 like a big manhole, was placed in at both the chrome
8 shop and the zinc shop.

9 And, by doing this, what happens is the
10 water table -- and the water table we find to be
11 about six to ten feet below the surface. The water
12 table, naturally the water just naturally moves into
13 what is now essentially an empty excavation. It's
14 got all this pea gravel, but there is not any water
15 in it.

16 And the water slowly fills up in this
17 excavation, and about every two weeks a pumper
18 truck, it's just a vacuum truck, they stick like a
19 big hose down into this sump and it literally sucks
20 the water out of this excavation, and that water is
21 treated at a treatment plant. And I'm going to show
22 you the pictures of that in a minute. At a
23 treatment plant that's right now located on the
24 chrome shop.

25 The water is treated, the chrome is

1 changed into a non-toxic form, the chrome itself
2 ends up being sort of what we call a filter cake
3 that's removed and disposed of. The water itself
4 flows into the city sewer where it goes through the
5 wastewater treatment plant in DePere. So
6 essentially the water is treated twice.

7 I wanted you to understand sort of how
8 this sump works, because we are going to talk in a
9 little bit about how this controls the groundwater
10 movement around the locations of both the zinc and
11 the chrome shops. And after this I'm going to turn
12 the slides on here.

13 Now, this looks kind of complicated, but
14 it's meant to just give a little bit of information
15 on how the treatment system works. And we're going
16 to show you a couple of pictures.

17 Essentially, in our treatment building
18 there are two very large tanks. One is a tank that
19 simply stores the water that's collected out of the
20 sumps, both at the zinc and the chrome shops. Now,
21 at the zinc shop it's half a mile north, so that
22 water has -- the water from the zinc shop is put
23 into a tanker truck and hauled by tanker truck down
24 to the treatment building, pumped into this tank.

25 When it's time to treat the water, the

1 water is pumped from the tank into the mixing tank,
2 and a series of reagents or chemicals is added that
3 treats the chrome and the water, pulls the chrome
4 out of the water and then allows the water to be
5 discharged to the sanitary sewer for additional
6 treatment.

7 And I'm just going to show you some of the
8 -- I'm going to show you what the inside looks like
9 so you get an idea of the scale of this.

10 This is simply a picture of the treatment
11 building from the outside, and it's about two
12 stories high because of the large tanks inside. And
13 here what you are looking at is actually what we
14 call the filter press. After the treatment is done,
15 we have really sort of a thick sludge that contains
16 the chrome, and that -- the filter press squishes
17 the sludge down so that we essentially get a very
18 dry material and the water then, like I say, goes
19 off to the sewer treatment plant.

20 Now, here, if I go back, you can just see
21 in the back this large tank, and that's going to be
22 the treatment tank.

23 And this is a little bit closer up view of
24 the treatment tank, and I think the next one has,
25 yeah, a person here for scale so you can see these

1 are very large tanks. They hold oh, six thousand
2 gallons of liquid at a time, so they are quite
3 large.

4 And this is simply a close-up of the
5 filter press, and you can see down here there is
6 little dry -- that's why it's called a filter thing,
7 it's just the dry pressings that actually contains
8 now the chrome-contaminated sludge in a dry form
9 that can be disposed of, and that's disposed of as
10 hazardous waste. It's removed and treated again.

11 Now, I wanted to talk just a little bit
12 about the remedial investigation. The Better Brite
13 Zinc and Chrome Shops were placed on what we call
14 the National Priority List; that is, they officially
15 became Superfund sites in August of 1990. This
16 overhead just gives a little bit of the idea of the
17 geology at both of these sites, and essentially to
18 approximately thirty feet beneath both sites we have
19 clay soils. Now, the clay soils is what we would
20 say impermeable. That means that they admit water
21 through them quite slowly. The water movement in
22 the clay soils is fairly slow.

23 Beneath that for about 140 feet we have
24 dolomite bedrock. Now, the dolomite really doesn't
25 produce a lot of water; and in this area it's really

1 the deeper sandstone that produces most of the water
2 for the municipal systems. And in DePere, that
3 DePere well that we pointed out previously, actually
4 draws its water from about 765 feet beneath the
5 ground, which is on the scale of this map is this
6 lower green line here.

7 We have wells that are at the bottom of
8 the clay, at that thirty-foot deep level, and then
9 we've got wells that we have nested, that means that
10 we have put in several at different depths in the
11 dolomite. And what we've found is that there is no
12 chrome contamination in the dolomite, and even in
13 the deeper clay soils there is no chrome
14 contamination. We find it only in our shallow
15 wells, which is above the twenty-foot mark in the
16 clay soils.

17 So that's very good news, because what
18 that means is the contamination really is contained
19 to just the surficial sediments, the surficial
20 clays, and we have not seen deeper migration such
21 that it would threaten the local water supply, for
22 instance.

23 Now, the primary contaminants that we see,
24 the primary contaminant that we see at both sites,
25 both the chrome and the zinc shop, is chromium. And

1 I know a lot of people say well, the zinc shop
2 should have zinc, and while we do find some zinc the
3 main contaminant that we have to be worried about
4 and concerned with from a public health standpoint
5 is chromium contamination.

6 What I am going to show you now is the
7 groundwater flow in the immediate vicinity of the
8 chrome shop and then I'm going to talk about the
9 extent of contamination at the chrome shop. So here
10 we are again.

11 Now, this area, this most innerlying, is
12 that same area I showed you before where the
13 excavation was done to twenty feet and where the
14 sump pump exists. And what these very narrow space
15 lines indicate is actually what we call a water
16 table map; in other words, what does the water
17 inside the ground look like, what's its height. And
18 it turns out that, just as you know on surface
19 water, groundwater tends to flow down to the lowest
20 point, water flows downhill; and it's true for
21 groundwater, in general, also.

22 So what this shows is that water moves
23 from the outer areas and moves in toward the sump.
24 Just as we had showed you on that cross-section
25 area, the water flows toward the sump, because,

1 essentially, there is very little water in a sump,
2 we just keep pumping it out, and the higher water on
3 the outside moves into it.

4 At the chrome shop, the water through all
5 of this area is actually moving into the sump, but
6 what we find is pretty much right about the property
7 line and where we have this green line drawn, that
8 this is what we call a divide, which means that the
9 water beyond that point, particularly to the west
10 and in this corner down here in this southwest, the
11 water there is actually continuing to move to the
12 west rather than being -- than actually moving
13 toward the sump this water is actually moving still
14 toward the west.

15 The reason that's important is the extent
16 of groundwater contamination. I'm going to move
17 this, I'm going to overlay these in a minute here.
18 The extent of groundwater contamination that we see
19 at the chrome site is indicated by this dark line
20 here (indicating).

21 So we've placed wells throughout the area,
22 and all of these little round circles indicate where
23 the wells are. And so the groundwater
24 contamination, where we find chromium in those
25 shallow soils to twenty feet, is indicated by this

1 black line. And it turns out that it's about a half
2 acre, three-quarters of an acre area.

3 When I overlay this -- and we are going to
4 see if we can do this without making your eyes go
5 buggy here. That's pretty close. What this shows
6 is that, while most of the groundwater contamination
7 is flowing into the sump, this area to the west
8 where we see groundwater contamination is not
9 actually being captured by the sump; that is, it's
10 still moving to the west rather than we want it to
11 go east into the sump.

12 So at the chrome shop our investigation
13 has told us that this western area of groundwater
14 contamination is not being controlled by the
15 existing sump. And so that this is one of the
16 issues that we have to address in our remediation,
17 is we want to make sure that we can control that
18 western edge of the groundwater flow.

19 And what may make sense here is I'll talk
20 to you about a couple of -- what we've done is we've
21 looked at various options for controlling the
22 groundwater flow, and one of the options that we've
23 looked at would be the placement of the trench. So
24 we want to know where would the hundred-foot trench
25 be placed.

1 Well, that trench -- I didn't mean to --
2 we've got another map of this, and I didn't make it,
3 I didn't make an overhead of it, but that trench
4 would be placed right about in this area
5 (indicating). Is that right, Judy? That's about
6 where it would be placed. The trench would be
7 placed out here to control this western area of
8 groundwater that's not being captured at this time.
9 That's one of the options that we have considered,
10 and that would be a possible option for dealing with
11 the groundwater contamination here.

12 I'm going to come back in a minute and
13 talk about the option that we are going to
14 recommend. And the option we are recommending is
15 not to place this trench here but to come and
16 actually treat this groundwater down in the ground
17 where it is now. So that it would be treated in
18 essentially the clean-up that we would no longer
19 have hexavalent chromium moving within the aquifer
20 at all. And we are going to come back to that in a
21 few minutes.

22 At the zinc shop, and this is the same
23 concept, what we've got here now is the groundwater
24 flow, where is the groundwater moving around the
25 zinc shop. And at the zinc shop what we see is the

1 groundwater, this groundwater divide that we saw
2 that was very close at the chromium shop, very close
3 to the property. At the zinc shop it's actually out
4 here (indicating), across -- this is South Sixth
5 Street. It's actually out here west of South Sixth
6 Street.

7 And so all of the water essentially from
8 South Sixth Street from the north, the east and
9 south we find is all flowing in toward this
10 groundwater sump. And instead of groundwater
11 contamination at the zinc shop, it's actually
12 considerably larger, a considerably larger area than
13 what we see at the chrome shop. And probably the
14 reason for this is that, first, they operated for a
15 longer period of time; and, secondly, that the soils
16 themselves may essentially allow more flow of water
17 through them than we see at the chrome shop.

18 The important -- so what we see is, like I
19 say, a more extensive groundwater contamination, but
20 it turns out that -- and this doesn't overlay quite
21 as well because they are not quite at the same --
22 these aren't quite at the same scale. But it turns
23 out that the area of groundwater contamination,
24 which is here (indicating), is, in fact, all being
25 captured by the sump; that is, we don't see at the

1 chrome shop where we saw an area of groundwater
2 contamination that's not being captured here.

3 In fact, all of the area of groundwater
4 contamination is flowing into the sump and
5 being captured. And what that means is -- I
6 wanted to explain a little bit about the concept of
7 this -- keep your eyes kind of buggy with that
8 overlay.

9 If you think about soils filled with
10 water, they are a little bit like a sponge. Now,
11 you know, it would be a very incompressible sponge,
12 you can't wring them out; but if you think about a
13 sponge that's full of water and you could pour water
14 into the sponge and water would drip out of the
15 bottom, in other words, all the same water you
16 poured in the top would drip out the bottom, that's
17 one of the ways you can think about the way the
18 groundwater moves here at the zinc shop or even at
19 the chrome shop.

20 As water enters at the edge, as water is
21 flowing into the sump, and we are pumping the water
22 out of the sump and water continues to flow in at
23 the edge, at the edges of the site, as that water
24 flows in it's flushing the chrome, just like you
25 have soap suds in your sponge and you put water

1 through to get some of the soap suds out. Well, as
2 the water flushes through these soils, the chrome is
3 also being carried along with it and brought back
4 into the sump area and it's being collected.

5 It's estimated, our consultant estimates
6 that it takes about fifty years, and I think that's
7 correct, takes about fifty years for the groundwater
8 to flow from the far edges here into the sump at the
9 zinc shop, takes about that long because the water
10 flows through these soils so slowly. And so that's
11 what we call flushing, and that normal flushing
12 action is cleaning slowly the chrome out of the
13 soils.

14 Now, one of the questions or one of the
15 things I wanted to answer was how we go about --
16 when we actually go into what we call a feasibility
17 study, what we do is we -- is our consultant
18 considers all of the options that she might use for
19 fixing the problem of contaminated groundwater, and
20 they essentially do an evaluation of many options
21 and settle on a handful, in this case about six, to
22 look at our contaminated groundwater. And then
23 those six options were evaluated through a process
24 that EPA has set out for Superfunds, and essentially
25 there are three levels of analysis.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

The first one is called our threshold criteria, and that means that all of the options must be protective to go on through the process. To be considered, the option must be protective of public health and the environment, it has to comply with state laws.

And then we have these balancing criteria that says okay, we are going to compare all the options for how well they perform in the long-term, how well do they reduce toxicity and mobility of our contaminants, are they effective in the short-term, can we implement the option, and then we compare the cost of the options that we have looked at.

And, finally, we have to ask, because the State has been in charge of this investigation, is this acceptable to EPA. And then the community acceptance is the last criteria, and that's one of the reasons we hold this meeting is to get input from the community to find out how they feel about the selected options.

And so we ran through -- and most of you have -- if you don't have, hopefully you will pick it up outside. This proposed plan contains a summary of the options that we looked at, and there is a summary table in the plan that talks about the

1 six options. And, primarily, tonight I'm going to
2 focus on the option that we are here -- that we
3 selected.

4 But I want you to know that we did, in
5 fact, look at six options, from no action, that's
6 part of it, we looked at what if we just didn't do
7 anything, if we didn't pump anymore, and how would
8 that compare with everything else in those nine
9 criteria.

10 We considered the option of putting in --
11 because we know that the western side at the chrome
12 site, the groundwater is being controlled on the
13 western side, and we looked at putting a trench in
14 there and collecting that water and treating it.
15 And what we have ultimately settled on is a
16 recommendation that at the chrome site, because of
17 the limited extent of groundwater contamination and
18 because there really are no significant above-ground
19 structures, we don't have any houses right over this
20 area or something like that, there aren't any roads
21 over it, that we are going to propose what really is
22 an innovative technology, which is this in-situ
23 treatment.

24 And what I am going to do is I'm going to
25 show a couple of slides of the in-situ treatment

1 that we are proposing at the chrome shop. What I
2 want to do, maybe just before I begin that, is talk
3 for just a moment about chromium and a little bit
4 about chromium -- the chemistry of chromium.

5 Chrome is usually written like this
6 (indicating). Chrome comes in -- in environmental
7 -- in other words, if we are looking at soils and
8 groundwater, chrome is found essentially in two
9 forms:

10 The first form, what we call Chrome VI or
11 Hexavalent Chromium, is considered toxic and it's
12 also mobile. That means it moves in the
13 environment. And the main concern from a toxicity
14 standpoint for Chrome VI is for inhalation. If you
15 inhale the dust particles, the fine air particles
16 from chrome, it irritates the lining of your lungs.

17 And the second main health problem with
18 chromium is for dermal contact; that is, some people
19 have a sensitivity to chrome and they are actually
20 allergic to it and they will have a surface response
21 in their skin.

22 Chromium, hexavalent chromium, is
23 considered a Class A carcinogen because of its
24 impact on the lungs. There is some ingestion impact
25 from Chrome VI or the hexavalent chromium, but at

1 fairly low levels Chrome VI is actually changed in
2 your stomach to the Chrome III form.

3 What's interesting is that Chrome III is
4 quite different in its environmental
5 characteristics. Chrome III is nonmobile. That
6 means it doesn't move through the soils and
7 groundwater, and it is nontoxic. And, in fact,
8 Chrome III, trivalent chromium, is considered an
9 essential nutrient in your diet and it's important
10 in things like metabolism of glucose and how
11 effective insulin works in your body.

12 So what we are proposing to do at the
13 chrome shop is to essentially change the form of the
14 Chrome VI that's now in the groundwater to a Chrome
15 III form. By doing that, the chrome will be -- we
16 are going to be changing it from a toxic mobile
17 contaminant to a nontoxic, immobile contaminant. So
18 we are going to be taking essentially the toxicity
19 out of the groundwater by changing the form.

20 And we are going to show you -- we are
21 going to turn on the slides here again. Here are
22 some slides sent to us by a company called Geo-Con,
23 and they do this kind of what's called stabilization
24 and solidification work. And essentially a large
25 rig, so this looks rather like a crane, comes in

1 with a large diameter, ten- to twelve-foot diameter
2 augers, and these augers can, in fact, drill down to
3 the twenty feet we need. They can, in fact, go
4 thirty feet or more into the soils. And as these
5 drill into the soils they are mixing the soil and
6 the groundwater and can inject through the auger
7 chemicals or what we call reagents into the soil
8 that will change the Chrome VI into Chrome III.

9 And, essentially, a series of these
10 augers, these augers just drill a hole, move over,
11 drill another hole, move over, drill another hole,
12 and so a whole series of these are drilled until all
13 of the area where the groundwater is contaminated
14 would entirely be treated with these chemicals that
15 would change the Chrome VI into the Chrome III.

16 And this is a closeup of the augers
17 actually mixing in the soil. So you can see how the
18 soil is being mixed, and it's fairly liquid here
19 with the reagent or the chemical that's been
20 injected.

21 This is a picture above ground of these
22 augers, and you have the people here for scale, and
23 so it gives you an idea of how large in diameter
24 this equipment is.

25 This is a site where once this

1 stabilization and solidification was done they
2 actually came back in and did an excavation around
3 the area where -- in this case where the sort of
4 cement-like material was injected, so you can see
5 what it looks like down in the ground after it's
6 hardened. And so this whole thing is actually --
7 it's like a very large pillar down in the ground
8 after it's been treated.

9 This is a site, and I've put these so you
10 can have an idea, this is an area where treatment
11 was going on throughout this entire -- along this
12 entire riverfront. And this whole area, this
13 particular site had what we call PAH contaminants,
14 but this was contaminated soil being treated through
15 this process.

16 And then this is the same site when it was
17 finished. So that after this treatment is done the
18 land can be redeveloped, you can construct things on
19 it, it can be relandscaped. So we are done with
20 that.

21 So, essentially, the proposal that we are
22 making for the chrome shop is to come in with this
23 kind of equipment and to treat the contaminated
24 groundwater within the footprint of this
25 contamination. Clearly, the soil would also be

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

treated as well, but the main concern that we have is to actually treat the chrome in the groundwater and stabilize it.

What that means is when this is finished the site is clean, the groundwater is treated, the Chrome VI now is immobilized as Chrome III, and there is no more Chrome VI to migrate away from the site. And the property would be considered clean for reuse and could be reused. That's our hope. That's one of the reasons why we have seen this option in such a positive light is it allows this property then to be reused by the city and to essentially be put back into a beneficial use.

We would continue to monitor groundwater around all of the area, of course, within this; all of those wells would all -- those would be gone because that would all be part of the treatment area, but we would monitor the groundwater around that area to make sure that, in fact, we didn't in the future get any kind of leaching of contamination out while the testing, while the drilling is going on, testing is done, where once the chemicals are injected, samples are actually removed from the area where the injection is taking place and then those can be tested to see how well, as you are going

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

along with the treatment, how well the treatment process is working.

For the zinc shop --

UNIDENTIFIED AUDIENCE MEMBER: You have two kinds of treatments going on within that sphere? Or are you alternating? Are you shifting to a new kind of treatment for the whole thing?

MS. EVANSON: No. There would be -- you mean right now we pump the sump pump?

UNIDENTIFIED AUDIENCE MEMBER: I know the sump from a separate site on the right, but on the left side you had used that new technology.

MS. EVANSON: No. That would be the entire process.

UNIDENTIFIED AUDIENCE MEMBER: You are going to abandon the sump?

MS. EVANSON: That's right. There would be no pump. There would be no pumping the groundwater anymore. The whole area would be solidified and would have this stabilization and solidification process, and we would no longer pump because there wouldn't be any sump left. I mean the sump would be gone. And there would be no removal of the groundwater going on anymore because there is no contaminated groundwater to remove anymore.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNIDENTIFIED AUDIENCE MEMBER: To what degree does the soil solidify? To what hardness does it solidify?

MS. EVANSON: Well, that issue is dealt with in what we call the treatability study. And before this process can actually be used we have to come out, take some samples of the soil, and the treatment that's actually applied is dependent on what's determined in the laboratory; in other words, what is most effective to the soil.

UNIDENTIFIED AUDIENCE MEMBER: Does it turn hard like concrete?

MS. EVANSON: Well, if they, in fact, inject a cement mix, a cement into the soils, yes, then it really becomes like concrete, yeah. Then it's just like one solid block throughout that area.

UNIDENTIFIED AUDIENCE MEMBER: And so at what depth below the surface would that process start?

MS. EVANSON: Well, the whole -- essentially, as I understand it, the whole area would be treated and then what you would have to do is come and grade it; in other words, you would have to have -- it would have to be formed such that you put a certain amount of soil --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNIDENTIFIED AUDIENCE MEMBER: So, in other words, use it for a garden or something.

MS. EVANSON: -- over the top. Right. We would have to determine the amount of soil to put over the top so that you could, of course, grow plants and things like that in it, and that's part of the design work.

UNIDENTIFIED AUDIENCE MEMBER: Could you dig a basement of some sort in that area then?

MS. EVANSON: Well, I was going to say we would not recommend that you do excavation in the area after this treatment is done, because I mean what you have done is you have immobilized that chrome and you would like to make sure it stays that way. So we are not going to recommend that there be any excavation particularly done, but it would be landscaped so that there would be soil over the top and, in fact, plants could be grown and gardens could be grown and all of that sort of thing, right.

MS. YOUNG: Terry, do you want people to say their names at this point with questions or should we wait on comments?

MS. EVANSON: Well, the main -- I think the main area where we probably need names is with the comments. I'm going to finish up so that we can

1 answer the questions here.

2 At the zinc shop, the extent of the
3 groundwater contamination and the fact that there is
4 -- that above the groundwater, this area of
5 groundwater contamination, we have buildings, we
6 have roads and things like that, it doesn't really
7 make this in-situ solidification process very
8 feasible to implement. And I told you one of the
9 things we have to assess is how implementable is our
10 technology.

11 So it makes it much more difficult to
12 implement this in-situ treatment process at the zinc
13 shop, simply because of the physical setting of the
14 site. And so at the zinc shop we are proposing to
15 continue pumping the sump, just as we are doing
16 right now.

17 As I showed you before, we know that the
18 sump is, in fact, controlling the groundwater, which
19 means that we are not getting any spread of
20 contamination in this area. We will take the
21 treatment equipment that I showed you earlier on the
22 slides, that is not located at the chrome shop and
23 it will be moved and placed in a new building at the
24 zinc shop.

25 So that will -- the advantage of that is

1 obviously that's where we are pumping the water. We
2 are no longer going to be pumping water at the
3 chrome shop. But it will eliminate the trucking of
4 the water that now occurs. Right now water is
5 trucked from the zinc shop to the chrome shop. That
6 will no longer happen.

7 So at the chrome shop there will be no
8 building. The groundwater will be treated in-situ,
9 and essentially the land is going to be able to be
10 reused. The site, except for the monitoring that
11 will occasionally occur, will be closed. It will be
12 considered clean.

13 At the zinc shop we are going to continue
14 pumping water, and what you will find in our
15 proposed plan is it tells you that we are estimating
16 that it will take in excess of two hundred years, I
17 mean that's a long time to pump water, to actually
18 be able to move the chrome through those tight soils
19 back to the sump.

20 The other thing that I want to mention
21 before we open up for questions is the other aspect
22 of our remediation or recommendations in the
23 proposed plan has to do with basement contamination
24 at the zinc shop.

25 There is a home here, 401 South Sixth

1 Street, and over here at 548, this is a business at
2 548 Butler Street that has had some impact to the
3 basement, having chrome actually migrate into the
4 foundation of the basement walls. And what we are
5 proposing, we considered a number of options for
6 dealing with the basement contamination, just as we
7 considered options for the groundwater
8 contamination, and what we are recommending in these
9 basements is that we seal -- we put a sealing
10 material on the inside and the outside of the
11 basement walls, that we build a drain around the
12 basement to lower the water that -- the water table,
13 essentially, around the basement so we don't get
14 water flowing in towards the basement any longer.

15 And we believe by doing this that we will
16 be able to reduce any risk of direct contact that
17 the users and -- that the residents of the home and
18 the users of the building may have.

19 This looks at the cost of the remedy. The
20 in-situ stabilization and solidification, we ought
21 to put in there and continued pumping at the zinc
22 shop, costs a little more than one million three
23 hundred thousand dollars. The basement isolation
24 and drain costs approximately forty-five thousand
25 dollars, for a total cost in the capital cost of

1 about one million three hundred and sixty-three
2 thousand dollars.

3 We will have to continue to operate the
4 sump pump and the treatment facility at the zinc
5 shop, and that's what this operation of maintenance
6 cost represents is the operation of that system at
7 the zinc shop.

8 And, finally, our total cost, what we call
9 present worth cost for thirty years, how much does
10 this cost, because it's not just the hundred and
11 three thousand dollars it cost us this year to
12 operate it, but for every year into the future that
13 -- the EPA requires that we consider costs for over
14 a thirty-year period. For thirty years the selected
15 remedy for the basement and the groundwater
16 treatment is about two million six hundred thousand
17 dollars.

18 What I want to make clear is the main part
19 of this remedy that's going to be operating for
20 thirty years in the pumping at the zinc shop and the
21 treatment plant. The chrome shop will be -- once
22 that solidification and stabilization step is done,
23 the chrome shop will be finished, that that doesn't
24 need to go on for thirty years. That will be
25 finished once that remedy is actually complete.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

And the basement, of course, will be finished once we've finished doing the sealing of the basement and putting the drain in.

Now, did I answer the questions that were originally asked?

MS. YOUNG: I guess what happens if it doesn't work? I kind of threw that one in. Sorry about that.

MS. EVANSON: Well, the first thing, and I think that's an important thing to address is what happens if it doesn't work. And I think the first indication of how well this is going to work is going to be when we do the treatability studies. And what we need is a laboratory study of the soil at the site and the -- the soil and groundwater.

We have to actually go in and take samples, send that to a laboratory, and they will test the different kinds of chemicals that need to be added to actually cause this change in the chrome to occur.

I was talking to a gentleman just yesterday about this, and he said at some sites they can simply come in and just inject cement and that alone, at some sites, has been enough to cause this reduction from Chrome VI to Chrome III.

1 At other sites it's a little more
2 complicated. They have to inject a material called
3 ferrous sulfate, and that helps cause this chemical
4 change to occur. Sometimes they have to acidify a
5 little bit, and the fact is you cannot tell. I
6 can't stand here and tell you today what they have
7 to do, because they've got to find out in the
8 laboratory what works best for this given
9 groundwater in these given soils. And that would be
10 one of the first steps we would take would be doing
11 this treatability study to determine exactly what
12 would need to be added so that this would be
13 successful.

14 I was going to say, if they did all the
15 tests and said oh, nothing is successful, we can't
16 do this treatment, I guess what we would end up
17 doing is falling back to the plan where we would
18 have to put in the -- we continue to operate the
19 sump and put in the trench to collect water on the
20 western side of the chrome shop.

21 We are very hopeful that, in fact, this
22 solidification step will be effective.

23 MS. YOUNG: There was another question
24 about surface soil runoff. If you do this process,
25 how will the surface water --

1 MS. EVANSON: The surface water. That's a
2 little difficult to say what we would do. As I
3 said, this would have to be graded such that you
4 could put soil, regular soil, I'm sort of thinking
5 like three feet of soil, at least several feet of
6 soil over the top of this so that you could
7 reasonably be able to grow garden plants and things,
8 because some of this is clearly on private property.

9 Now, the main concern when you have
10 surface water falling on it it's not going to be
11 like surface water falling on your road, because
12 surficial soils that will be placed there would be
13 absorptive; that is, the water is going to be able
14 to filter through the clean surface soils that will
15 be placed there.

16 Now, if it's like, say, two or three feet
17 beneath the ground, it's like concrete, and what's
18 going to happen is water would tend to move
19 laterally across that. Now, this site is very flat,
20 so we don't have concerns of, you know -- well, we
21 were there today.

22 MR. KOZOL: There is a little bit of a
23 slope. There is a low point it looked like when you
24 are in the private residential area.

25 MS. EVANSON: We don't have like six or

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

seven percent slopes out there?

MR. KOZOL: No, there is not.

MS. EVANSON: But I think, from what we could see today, I think with the addition of soils that we would find that it would be a stable situation. But, again, that part of the design process that goes on, which would be making sure that it was graded so that you didn't have problems with the stability of the soils above the treated area.

That's the main presentation, what we are proposing. We believe that in our analysis process, through those nine criteria, and I told you about that, what we are proposing presents the best balance of these options. So what we want to do is open it for questions and comments, and I'll let Mary take over.

MS. YOUNG: I did want to make a comment she forgot from the health perspective.

MS. EVANSON: Oh, I forgot the next part of the agenda, which was Mary's.

MS. YOUNG: That's all right. I just had a couple of comments to make. For those of you who have been around for a long time through this process, Kim Brow (phonetic) has been the lead

1 person in our office who has worked on health
2 assessments and done a lot of work, and he's leaving
3 our office. So he's gotten a new job and I'm going
4 to take over lead responsibility from our office
5 after tonight. Well, he leaves Monday.

6 Kim looked very carefully at the proposed
7 plan and feels that it's protective of public health
8 insofar as -- I mean or as long as there are some
9 safeguards to make sure that this is working the way
10 that they propose that it will, and those things
11 include the things that Terry has already mentioned.

12 At the chrome shop there would be
13 continuous monitoring -- or not continuous, but
14 occasional monitoring, regular monitoring to make
15 sure that the system is doing what it's intended to
16 do.

17 Oh, the fact that they now know what the
18 limits of groundwater contamination are. I mean
19 originally when Kim did the health assessment he was
20 concerned that there was not a good understanding of
21 how far contamination had extended. Now there is a
22 good understanding of where the contaminated ground
23 is, so we would want to just make sure that the
24 systems are working the way they are intended to
25 work.

1 As far as the basement, we are concerned
2 at this point, we see that as the only, and I really
3 can't say significant exposure, but there is
4 chrome-contaminated water coming in through basement
5 walls. We don't know whether that level is
6 significant or not and have done some sampling
7 today, as a matter of fact, to see whether there is
8 hexavalent chromium coming in; and we have consulted
9 with the homeowner there to make sure that there is
10 no contact with the contaminated water that might be
11 coming in.

12 At this point, I would like to open the
13 floor for other questions and comments, and this is
14 kind of -- we are a little more formal now, so if
15 you wouldn't mind giving your name before you ask a
16 question. You can direct your questions or comments
17 to whomever you would like.

18 MR. SCHMIDT: My name is John Schmidt. As
19 you had the slides up for the zinc shop, the
20 overhead, to the east of where that building had
21 been before they did the excavation, there is a dark
22 area. What did that represent?

23 MS. EVANSON: Let me find this here.
24 That's a good question. You're talking about this?

25 MR. SCHMIDT: Correct.

1 MS. EVANSON: This area, here
2 (indicating). Judy, maybe you can address that.

3 MS. FASSBENDER: Originally when the
4 building was still standing, they recognized that
5 there was a significant problem, and they excavated
6 a small sump on the back end of the building so that
7 they could start groundwater remediation right away.
8 So that sump probably was excavated probably like
9 1989, something like that, quite a while before the
10 1993 sump was excavated.

11 When they excavated in 1993 they just
12 incorporated that area as part of the bigger sump.
13 So they had a smaller pump on the back end of the
14 building while the building was still standing that
15 was collecting groundwater.

16 MR. SCHMIDT: Just a couple of wells?

17 MS. FASSBENDER: Just one sump like this
18 cross-section that Terry had drawn.

19 MR. SCHMIDT: There were two wells in
20 there.

21 MS. FASSBENDER: Originally there were two
22 wells in there, you are correct. And those two
23 wells they collected groundwater samples from it
24 there and found that there was very high levels of
25 contamination in those monitoring wells and decided

1 they could kind of do it like an interim measure
2 where they would excavate the area, remove those two
3 wells, and put a sump in in that area where the
4 initial sump was while the building was still
5 standing.

6 MS. EVANSON: So what you are saying is
7 today the sump incorporated this hole, is that
8 correct, the existing sump now, but --

9 MS. FASSBENDER: Right. But it preexisted
10 the 1993 sump.

11 MS. EVANSON: 1993 area.

12 MR. SCHMIDT: Just to make a comment.
13 John Schmidt again. I'm going to disagree with
14 that. We are the owners of that property, or I work
15 for the company that owns that property, but I'll
16 discuss that with you later, then.

17 Now, you talked about some long period of
18 time for cleanup. You talked about a long time and
19 threw out another number. So just what kind of time
20 are you talking about fifty or a hundred feet from
21 the hole? Those will be the longer because they are
22 drawing from the farthest distance?

23 MS. EVANSON: Right. The longer is from
24 the edge. In other words, from where we've got the
25 contamination farther away.

1 MR. SCHMIDT: But the closest to the
2 building.

3 MS. EVANSON: The closest to the building,
4 right, that that chrome is flowing into the sump
5 right now.

6 MR. SCHMIDT: But it will never clean up
7 also because the material from the farther out is
8 going through that same soil; am I correct?

9 MS. EVANSON: Right, and that's why --
10 see, when I said it takes fifty years to get one
11 flushing through, that means for all the water
12 that's within this area to move down into the sump.

13 MR. SCHMIDT: One time.

14 MS. EVANSON: One time. But, right,
15 that's exactly what's happening is that you get --
16 the chrome is going to move a little bit, a little
17 bit, a little bit, so you are going -- you need a
18 number of flushes through here for that chrome to
19 all eventually get into the sump.

20 And so what I am saying is we don't --
21 it's difficult for us to estimate. How many times
22 do you have to flush those clay soils to get the
23 chrome back into the sump collected? And so what we
24 are just saying is that's why we believe the total
25 cleanup time to be greater than two hundred years,

1 because that's four flushes. Two hundred years
2 represents four flushes, and it's difficult to stand
3 here and tell you oh, I can predict out to two
4 hundred years and three hundred years. I don't
5 think that's possible.

6 We are just telling you realistically, we
7 are talking about a very long time for this chrome
8 to flush in there. It's important that you
9 understand.

10 MR. SCHMIDT: Would additional trenches or
11 additional sumps decrease that amount of time?

12 MS. EVANSON: Yes. Obviously, what we are
13 dealing with here is the property that the zinc shop
14 was on, but I would guess that if you went on to all
15 the private properties and put in more sumps, you
16 are right, you would have shorter distances for the
17 chrome to travel for collection.

18 You know, but, obviously, that means
19 digging these twenty-foot deep sumps, you know, on
20 the private property or collection trenches or
21 whatever. But you are right, that would, in fact,
22 decrease the time frame for collecting the homes
23 throughout that area.

24 MR. SCHMIDT: Most of that property is
25 zoned industrial, but it is also going to have some

1 impact on the salability of that property down the
2 road.

3 MS. EVANSON: Right. Yeah. I understand
4 that.

5 MR. LEHMAN: Yes, my name is Jim Lehman.
6 Terry, the hazardous waste that's removed now, where
7 is it disposed of?

8 MS. EVANSON: I'll have Kathy tell you
9 that.

10 MS. ERDMANN: That's brought down to a
11 landfill in Menominee Falls, Wisconsin.

12 MR. LEHMAN: And I have another question
13 here on your success rate. The solidification, what
14 is the success rate? Does it totally clean it up?

15 MS. EVANSON: I was going to say, that
16 clearly is our hope. See, when you say success
17 rate, I don't know of -- because this is the first
18 one we are proposing in the state, I can't tell you
19 that I can compare it to the three others we had
20 done.

21 MR. LEHMAN: Now, one other question that
22 I have is your anticipated cost of thirty years is
23 \$2,646,200. Is there going to be a renewal after
24 that for cleanup? Because you are talking fifty
25 years for, you know, total.

1 MS. EVANSON: Right. The cost, and that's
2 always an issue, because obviously the cleanup is
3 longer than the thirty-year time period that we are
4 looking at for the zinc shop. EPA mandates -- we
5 have certain requirements under the Superfund, and
6 one of the requirements is that we estimate costs
7 out to thirty years. And even if it's going to take
8 two hundred years, it turns out that the mathematics
9 is such that beyond thirty years the money doesn't
10 really mean anything in today's terms as far as that
11 additional cost that far out, because what you are
12 doing is you are calculating the cost into the
13 future and then discounting it back, and after
14 thirty years -- in other words, if I estimated how
15 much it cost a hundred years from now it would be
16 like zero dollars today.

17 But that doesn't mean that we are not
18 going to continue the cleanup. We are just saying
19 this is the cost over that time.

20 Bob, did you want to --

21 MR. STROUS: Bob Strous. I just wanted to
22 say that this type of solidification has been done
23 in the state of Wisconsin, just not by --

24 MS. EVANSON: Not on chrome.

25 MR. STROUS: Not on chrome. Not by the

1 state or federal governments, but I know that some
2 responsible parties have undertaken this type of
3 remediation fairly successfully. We do know that
4 it's been done on chrome in other states with
5 reasonable rates of success, so we wouldn't be
6 proposing this if we didn't think that it was going
7 to be successful.

8 MS. EVANSON: But we have not used this
9 for treating chrome in the state, but that is true,
10 we have experienced this kind of process with other
11 types of waste.

12 MR. KONRATH: Marv Konrath, and I live
13 directly west of the chrome shop, so your slide on
14 that, wells 109-A and B obviously shows
15 contamination because they are inside your -- those
16 are on my property, but they are inside your line.

17 Now, 110 and 110-A are also on my
18 property, and obviously those aren't contaminated.
19 How did you draw that black line where you did,
20 seeing as there is something like approximately
21 eighty feet between 109 and 110?

22 MS. FASSBENDER: If Terry would put the
23 water table map on top of that, the surface water on
24 the groundwater is following what we believe to be
25 the bedrock surface down below and that there is

1 kind of a second divide that runs right between
2 there. So it shows that there is a gradient.

3 MS. EVANSON: Do you want to overlay that?

4 MS. FASSBENDER: This line and this line
5 (indicating) are the same, the groundwater is at the
6 same elevation, so the water moves this way
7 (indicating). And then from here we think it goes
8 up this way (indicating) because that's where you've
9 got your -- there is a stormwater drain that runs up
10 that way, and eventually that runs up into the Fox
11 River.

12 So we think what happens is pretty much
13 that water is going both this direction and this
14 direction, so we felt pretty competent drawing this
15 line down the middle.

16 MR. KONRATH: That's right before the
17 sewer.

18 MS. FASSBENDER: The sewer, it's pretty
19 close to being right about the sewer. This low spot
20 and this low spot are right above the sewer, so it's
21 kind of right in the middle there.

22 MR. KONRATH: So you've got to go down
23 twenty feet now. Is this going to affect the sewer
24 or are you going to have to replace that or what are
25 you going to do with that? Because that leads

1 directly to the Fox River.

2 MS. FASSBENDER: Right. Right. I would
3 -- in the design that's something we will have to
4 address is exactly how close we are and what effect
5 that's going to have on that sewer. So at this
6 point we've got a pretty good idea where that runs;
7 we don't know exactly where that runs.

8 MR. KONRATH: You can see the manholes and
9 the depression in the ground there.

10 MS. FASSBENDER: Right, but that's how
11 this line was drawn and it's a function of where
12 that storm sewer is.

13 MR. KONRATH: Now, in this encapsulating
14 there, then anything that is outside that line is
15 perfectly safe or is there always going to be danger
16 of some contamination along there and saying hey,
17 you got to clean up what's left over here?

18 MS. EVANSON: That's part of our design
19 process is, in fact, we are going to want to make
20 sure this very question is answered. In other
21 words, have we, in fact, gotten all of the
22 contaminated groundwater treated; and that's simply
23 a process of taking samples and finding out.

24 MR. KONRATH: What's the timetable on
25 that?

1 MS. EVANSON: Of actually doing the
2 cleanup?

3 MR. KONRATH: No. Of being sure that
4 there is no more -- you can hand me a document
5 saying that my land is perfectly clean and nobody
6 has to do any cleanup.

7 MS. EVANSON: Right. I mean that's going
8 -- right, that the property is clean?

9 MR. KONRATH: Yeah. How long would that
10 take?

11 MS. EVANSON: That is a function of after
12 the treatment is done of, in fact, going in and
13 making sure that you have cleaned it up properly and
14 that what -- we do this all of the time, actually.
15 And it requires taking soil samples. In other
16 words, we could go in with bores and we could take
17 water samples immediately outside of where the
18 treatment has been done and you can determine is it
19 clean or is it not.

20 And if it's clean we are going to be able
21 to say we have treated the contamination, we don't
22 see any hexavalent chrome here and the site can
23 essentially be closed; that is, it's now clean and
24 there is no --

25 MR. KONRATH: Do I get a document at that

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

time stating that it's clean?

MS. EVANSON: Right. That's essentially what we produce when people come in. Like I said, in other contamination cases around the state that's what is produced. When somebody's property now is clean, we do have what we call "Clean Closure Certificates" and things like that that say this property is clean.

MR. KONRATH: What kind of brought that to mind is that church in Green Bay. The City sold the property to them and they went to improve their parking lot and they found there was a gas tank underneath there and the City says well, let the buyer beware. So, therefore, people are very conscious about buying any contaminated property.

MS. KONRATH: If you do this, is there any time -- Elaine Konrath. Is there any time like next year, two years?

MS. EVANSON: We are estimating that the design period will take about a year and that the actual treatment we are hoping would be a year to eighteen months. In other words, in a year to eighteen months we would actually see work done.

The big caveat that goes with that is getting the money to do it. The money is going to

1 come from EPA. Now, EPA is agreeing to this
2 cleanup. They've told us yes, we are going to agree
3 to this approach. And we have enough money to
4 actually design it; that is, we can hire
5 Hydro-Search and they can design this treatment that
6 we are proposing.

7 But then we are going to have to go back
8 to EPA and say okay, now everything is designed and
9 we are ready to do the treatment, we are ready to
10 bring the rig on and start doing this in-situ
11 treatment and they are going to have to cough up
12 \$1.3 million, because that's the capital cost.

13 And so the big caveat I give is the whole
14 issue with Superfund and that they have to have the
15 money to give us. They can't tell me today that in
16 a year or eighteen months they are going to have the
17 money to give us, but that will be ultimately the
18 determining factor of when this actually gets done
19 in the ground, coming up with the actual capital
20 cost.

21 Mr. Konrath.

22 MR. KONRATH: I say this rather
23 facetiously, because it seems rather odd to me that
24 you use chemicals to get rid of chemicals. I mean
25 the history of the United States has been well, we

1 took care of this problem. What happens when we got
2 another problem?

3 MS. EVANSON: Right. And one of the
4 things, that's why it's important to try to find a
5 chemical that then does not cause another
6 environmental problem, and that's where the ferrous
7 sulfate is a pretty decent chemical to use, because
8 it's actually the iron that will help change the
9 chrome. The iron will itself change and become
10 Iron III, which turns out to be fairly immobile in
11 soils.

12 The chrome will change to Chrome III, and
13 the sulfate is fairly innocuous; it's going to be
14 bound up within the soils and will solidify in the
15 soils. And so none of those things are really going
16 to cause a groundwater problem. But that is one of
17 the concerns.

18 MR. KONRATH: I do have one more, Mary, as
19 long as we are talking about money. Is there any
20 provision -- I'm getting up in age here -- along the
21 line someone will say you shouldn't have lived this
22 long and all of a sudden now we got to put you in
23 the nursing home? Is there any public funds for
24 something of that nature?

25 MS. YOUNG: I'm not aware of any. I mean

1 outside of the regular Medicare/Medicaid kind of --
2 but to my knowledge nobody has ever that I know,
3 nobody really knows what the long-term effects are
4 of living in this place 25 years day and night,
5 because nobody has ever done it before us.

6 MR. COWLES: Bob Cowles. On a related
7 note, are you testing? Are you monitoring the
8 health of the people over the last decade? Do we
9 have any indication of any ill effects so far?

10 MS. YOUNG: I'm not sure how to answer
11 that question. I'm thinking that over time we've
12 done a lot of studies of groups of people who have
13 been exposed to chemicals, and to date in Wisconsin
14 we've never made a case association between a low
15 level exposure and a higher incidence of a disease,
16 because it's so complex. People's lives are all
17 different.

18 There are a lot of contributing factors
19 that cause health effects, and so I can say that we
20 have not seen -- we have not made a real strong case
21 for health effects and low levels of contaminants.
22 It's very difficult.

23 I would be happy to talk about that more,
24 too, if you would like to know more about it. We do
25 health studies.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. ALDRICH: Hank Aldrich, A-l-d-r-i-c-h.
I was just wondering about you said that it's a carcinogen to breathe in the flakes of the chromium. Would that cause a problem with the augers going into the ground and releasing that into the air at all?

MS. EVANSON: Chrome is not what we call volatile, so the main thing you would have to be concerned about is any kind of dust. In other words, it doesn't just go into the air on its own. But the main thing you would have to be concerned about is dust control. And, in fact, any kind of excavation, that would be one of the things that we would, in the design, would have to be concerned with and control the dust. So our main concern would be the people immediately in the area of the augers and the like, so we are going to patrol that and make sure that people are --

MR. ALDRICH: How would you go about doing that for the homes in the surrounding area?

MS. EVANSON: Well, I was going to say, because here, you know, you saw the picture. It's not like you are going down with a backhoe pulling all this soil up and it's just blowing out into the air. I mean all of this is being done down in the

1 ground, and it seems -- I mean there are -- this
2 auger does have the ability of having a hood that
3 you can control any kind of air, so if it's
4 determined that that's necessary -- but I think the
5 very nature of this, you saw, particularly if they
6 put a wet chemical in, the very nature of this is
7 such that you are not going to produce a lot of
8 dust.

9 MS. YOUNG: I would like to comment, too,
10 on that a little bit. I'm feeling a little
11 self-conscious about how sad that last reply was
12 regarding the health studies. The Division of
13 Health works very hard at identifying situations
14 that may contribute to ill health in the
15 environment. And what we try to do, rather than
16 doing health studies to provide a link between an
17 illness and an exposure, we try to give people
18 advice that will reduce their exposure so that there
19 are no health effects.

20 So in the case of a remedial action taking
21 place, if you live near the chrome shop, for
22 example, and you would find that it was getting very
23 dusty and you were concerned that you might be
24 inhaling chromium-contaminated dust, we would hope
25 that you would feel comfortable giving us a call so

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

that we, in turn -- or you could call the project manager or Kathy at the DNR, somebody locally or Shirley at the DePere County Health Department -- City Health Department so that we could get some action taken right away. Because we don't want you to have unnecessary exposures.

MS. EVANSON: And, like I say, they try within the whole design to make sure that there is no exposure through the safety that's taken at the site.

MR. KONRATH: One final question. When they are all done with this stuff here, are they going to landscape my property? Am I going to have to do it or what?

MS. EVANSON: I would expect that the property -- I mean that that would be part of the design, that the property would be returned and landscaped. I mean that would be part of working with you, to determine how that would be done.

But, clearly, when the actual treatment is done we are going to take care to make sure that the surface of that is now usable, and the way you would want to use it for your backyard.

MR. KONRATH: Then pave it with a tennis court.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. EVANSON: Then we don't have to bring the soil in.

Are there other questions at all?

(No response.)

MS. EVANSON: All right.

MS. YOUNG: Any other comments that you would like to make on this proposed plan?

MR. COWLES: Senator Bob Cowles again. Are the groundwater wells showing a decrease in toxicity? Is there any indication of that thus far?

MS. EVANSON: I think I have to say no. I mean the studies that we've done, you know all of the wells really haven't been monitored, I think, over a long enough time period to be able to say that we've got downward trends.

What we do have is the water that's flowing into the sump, I mean that, you know, that water is treated and --

MR. COWLES: Is that dropping in toxicity?

MS. ERDMANN: I can get that information for you. I have it at my fingertips, and I was just asking for that information about a week ago.

MS. EVANSON: I was going to say when I was asked that a week ago, what they had told me was because the sumps have only been operating since

1 1993, that's only three years, that really what we
2 are drawing from right now is very highly
3 contaminated groundwater in the immediate vicinity.
4 Because I had told them that that takes so long for
5 the water to flow through the soils that I don't
6 think we have really been operating long enough to
7 see significant decreases in concentration.

8 MR. COWLES: Is there any way to
9 artificially (inaudible) this pump instead of
10 waiting for a rainstorm to push more water through
11 the system to expedite it?

12 MS. EVANSON: Actually, one of the options
13 that we looked at was that; in other words, is there
14 a way to enhance movement of the water through the
15 soils. And the basic line answer is that it's very
16 difficult to do because the soils are so tight,
17 you've got that tight clay, and this is -- the clay
18 soils up here are very slowly permeable, that water
19 does not move through them very readily and that's
20 what our basic problem is. But with the sand, then
21 it would be much easier, yes, to do what you're
22 suggesting.

23 MS. LENZ: Gayle Lenz. I had to come back
24 and look through here for my question. The book had
25 said there is a few isolated hot spots in the zinc

1 shop, and I don't know that you had addressed that.

2 MS. EVANSON: That's a good point that I
3 didn't cover in talking about this. One of the
4 things that we intend to do is, particularly at the
5 zinc shop, we are not sure, but we believe that
6 there may be some additional soil contamination off
7 the zinc shop property.

8 I told you that the property itself was
9 excavated, but testing off of the zinc shop
10 property, some testing was done but not deeper in
11 the soils. And that's one of the things that we
12 need to do.

13 And, again, just as we are going to do
14 this treatability study to see how we need to treat
15 the soils at the chrome shop, we are going to also
16 be doing some additional soil testing around the
17 zinc shop to see if there is any additional soils
18 that actually need to be removed, and that will be
19 part of our predesign work will be going in and
20 doing that additional soil testing.

21 MS. LENZ: I live directly across the
22 street from the zinc shop, and there's two wells on
23 my property. How long are they going to leave those
24 there? They have been there about five years
25 already, I believe.

1 MS. EVANSON: Right. That's probably the
2 case. One of the things we are doing right now is
3 actually assessing that, which wells, because we are
4 going to have to, as I pointed out, because we are
5 going to continue pumping at the zinc shop and even
6 with the treatment at the chrome shop we are going
7 to continue to do groundwater monitoring. And what
8 we are doing, in fact, Judy is doing now is
9 assessing which wells we really have to keep for our
10 monitoring network.

11 And we've got a neighbor immediately
12 adjacent now who is -- well, you know, what I want
13 is for the wells to be flushing out, in other words,
14 just even with the ground so that the pipes don't
15 stick up and so there are ways in which we might be
16 able to make adjustments on the wells so that they
17 are not in your way.

18 If you absolutely don't want the wells
19 anymore, if you just prefer that they not be there,
20 then we can talk with you about whether they need to
21 remove them or if they need to replace them or
22 whatever.

23 MS. LENZ: You can remove them anytime you
24 wish, because, see, if I was going to put my
25 property up for sale, I sure wouldn't want those

1 wells there.

2 MS. EVANSON: I understand what you are
3 saying. So what we are doing right now is doing an
4 assessment of which wells we feel are absolutely
5 necessary to our monitoring program and the ones
6 that aren't we will remove.

7 MS. LENZ: That's the thing, that zinc
8 shop is closer than twelve hundred feet from the
9 city well. I don't think it's more than four
10 hundred feet.

11 MS. EVANSON: Okay.

12 MS. LENZ: Because my lot is a hundred
13 seventy feet long and the well is practically
14 directly, a little bit the lot next to mine. But my
15 lot and his lot is the same length, and that's a
16 hundred seventy feet, and that well is directly
17 right off that lot.

18 MS. EVANSON: About two hundred fifty feet
19 rather than twelve hundred feet?

20 MS. LENZ: Right. It's not twelve
21 hundred.

22 MS. EVANSON: Then it's two hundred fifty
23 feet. What I say about the geology doesn't make any
24 difference; that is, that well is not any risk for
25 contaminant risk, you're right.

1 MS. LENZ: You would be up beside the high
2 school.

3 MS. EVANSON: That's right. I think there
4 are some other wells that are about twelve hundred
5 feet away.

6 Thank you. Are there other questions or
7 any other comments that anyone wants to make about
8 the proposal?

9 MS. YOUNG: You will have, as Terry
10 mentioned earlier, practically through the end of
11 August I think it's the 24th you said.

12 MS. EVANSON: Through the 26th of August
13 we accept the comments on that plan, and you are
14 certainly welcome to -- we even provide a little
15 sheet in the back here to write comments on the
16 sheet. And just tear that page off and mail it in
17 or write a letter if you want to make additional
18 comments besides your oral comments tonight. And we
19 welcome any comments.

20 MS. YOUNG: Again, if there are people
21 that are not here that you think we should contact,
22 we would like to know who they are. And, also, if
23 you haven't signed in we would like to know who is
24 here tonight, who's got the most interest in the
25 site, and we will be around. Thank you for coming

tonight.

(The meeting adjourned at 8:30 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF WISCONSIN)
2)
3 COUNTY OF KEWAUNEE)

4 I, NANCY M. BAUX, Certified Professional
5 Reporter, hereby certify that I am the official court
6 reporter for Circuit Court, Kewaunee County, Wisconsin,
7 that I have carefully compared the foregong 67 pages with
8 my stenographic notes and that the same is a true and
9 correct transcript.

10 Dated at Kewaunee, Wisconsin, this 12th
11 day of August 1996.

12
13
14
15 Nancy M. Baux
16 Nancy M. Baux
17 Certified Professional Reporter
18 Notary Public
19

20 My Commission Expires
21 September 29, 1996.
22
23
24
25