

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EPA PROPOSED PLAN
PENTA WOOD PRODUCTS SUPERFUND SITE

Siren, Wisconsin, July 15, 1998
Public Meeting

Appearances:

- Susan Pastor, U.S. EPA
- Ken Glatz, U.S. EPA
- Tom Kendzierski, WDNR
- Mary Young, Wisconsin Department of Health
- Gina Bayer, CH2M Hill



NORTHWESTERN COURT REPORTERS

RECEIVED

AUG 17 1998

DNR - SPOONER

1 MS. PASTOR: My name is Sue Pastor and I'm
2 the Community Involvement Coordinator on the Penta
3 Wood Products site. And Ken Glatz, my co-worker, is
4 the project manager. We also work for the U.S.
5 Environmental Protection Agency in Chicago. And Tom
6 Kendzierski up here in the front is Ken's counterpart
7 with the DNR. And also who works on this project with
8 us is Gina Bayer with a company called CH2M Hill out
9 of Milwaukee, and she's on-site an awful lot and very
10 helpful in maybe answering questions or talking about
11 some of the day-to-day investigatory work that was
12 going on at the site.

13 I had a strict agenda planned here. And that
14 was because I was assuming there would be lots of
15 people and we'd need to kind of keep a format going.
16 But since there aren't lots of people, we don't have
17 to be as formal as I had envisioned.
18 So if you, you know, you want to move up closer, if
19 you want to, you know, ask a question, or we have a
20 nice slide presentation to show you and maybe, you
21 know, Ken can just flip through some of the slides and
22 if you want to ask something, I -- you can, you know,
23 ask for a little point of clarification or something.
24 It doesn't have to be as strict as my normal wait 'til
25 everybody goes through their presentations and then

1 ask a question, since there are only a handful of you
2 out there.

3 But as you notice, Ken is on the agenda, is
4 talking about the clean-up options that we have
5 available to us, and then the one that we'll be
6 recommending. And Tom will be able to talk a little
7 bit about his involvement working with the -- with the
8 U.S. EPA and his role with the DNR. And Mary Young
9 with the Wisconsin Department of Health will talk a
10 little bit about some of the potential health effects
11 and well, questions, I guess at this point if
12 something pops into your mind we'll go ahead and
13 answer it.

14 The part, though, that we are really interested
15 in, though, is where it says public comments at the
16 bottom, and maybe there will be a point in the meeting
17 we can set aside a moment or two for public comments
18 and if you have one, we'd be interested in hearing
19 it. That's the point in time where you'll make a
20 statement and say you like what we're proposing, you
21 don't like, you have another idea, another opinion or
22 thought, that would be the time to do that.

23 And if you notice, we have a court reporter here
24 who is taking down the proceedings of the meeting
25 tonight. And she'd be very interesting in hearing

1 your name and if it needs to be spelled she'd
2 appreciate that. And if you represent a company or
3 organization or governmental body, she would need to
4 know that, too.

5 Otherwise, everyone has one of the gray facts
6 sheets? That went out in the mail around the first of
7 July, the very end of June, and that pretty much hits
8 the highlights of the recommended alternative that
9 we're looking at, as well as the other options that
10 were reviewed. It also highlights the locations of
11 the technical documents associated with this site at
12 the Burnett library and then Grantsburg. So if the
13 gray facts sheet piece doesn't quite do it for you and
14 you really like this kind of stuff and you want to
15 read more, then there will be quite a bit more to read
16 in those libraries. And if you have a question as you
17 go through these, feel free to call Ken. Our numbers
18 are all over the facts sheet and on the agenda. We
19 have an 800 number, we have Email. We have a lot of
20 ways to reach us. We have voice mail... So if we're
21 not there and you have a question, we'll return your
22 call. If you're looking at the documents and you
23 can't find something, Ken can probably at least point
24 you in the right direction so you don't have to go
25 through a document that big and try to find a passage

1 that might be interesting to you.

2 So before I let Ken go through his slides,
3 though, pardon my back, this is why we're cleaning up
4 the Penta Wood site. I don't even have to take it out
5 of the plastic to smell it. This is -- I will wear
6 the gloves because that smell stays on your hands
7 without even opening this jar, we discovered
8 yesterday.

9 MR. GLATZ: This is one of those no-nos
10 where you put the sample in your desk drawer at work
11 and hope nobody catches you because it's not supposed
12 to be done. This is actually taken out of the
13 groundwater, floating on the surface of the
14 groundwater on the site. It's a combination of fuel
15 oil and pentachlorophenol, and, fortunately, it's not
16 moving off the site, but this is probably the -- it's
17 what's called a source material and basically it's --
18 it really drives the risk at the site. And one of the
19 objectives of the Superfund Program is to remove all
20 this material and restore the -- the groundwater
21 particular to its most beneficial use. So --

22 MS. PASTOR: This is what the groundwater
23 looks like underneath Penta Wood.

24 MR. GLATZ: Yeah, about a three-acre chunk,
25 550,000 gallons of that stuff in the groundwater in

1 one form or another. Some of it's held up in the
2 sand.

3 MR. KENDZIERSKI: Does it support bacteria
4 or anything like that?

5 MR. GLATZ: Not in that form, no. You could
6 burn that stuff.

7 MS. PASTOR: I suppose you could smell it
8 from there, probably.

9 MS. YOUNG: Isn't what we're smelling fuel
10 oil?

11 MS. PASTOR: We thought maybe we would have
12 to go out in the parking lot if anyone was interested
13 and open up the jar, but we decided we don't even have
14 to open up the jar and just by touching it, it's all
15 over our hands, the smell can --

16 MR. GLATZ: Called LNAPL, in case I get into
17 it and don't describe that, LNAPL. It's a light,
18 nonaqueous liquid. Our worst fear was to open this up
19 in this room and have somebody accidentally drop it on
20 the floor.

21 MS. PASTOR: Like me. So let me hit the
22 lights and you can see the slides that Ken will show.
23 We have some nice slides of the site, and the work
24 that was done out there, oh, last fall, and he'll flip
25 through some of those and then talk a little bit about

1 what we want to do in the way of cleaning up this
2 site, what we'll be suggesting.

3 MR. GLATZ: Okay. I guess I'd just like to
4 preface my statements by saying that the Penta Wood
5 Products site is on the NPL which makes it a Superfund
6 site.

7 MS. PASTOR: Short for National Priorities
8 List.

9 MR. GLATZ: And as we go, there's a definite
10 process that all sites have to go through when they're
11 on the NPL list, and basically at the end a Record of
12 Decision has to be written, and that's at the state
13 we're at now which identifies what the remedial action
14 is planned for the site. Obviously this is a nice
15 site of a lake and the area and we're hoping that the
16 remedial actions at the Penta Wood site will continue
17 to keep these lakes pristine as they are now. That is
18 a site map and actually the site map itself is
19 probably better shown in your brochure, if you'd look
20 at Figure 4, I believe it is, Figure 2.

21 MS. PASTOR: Kind of follow along.

22 MR. GLATZ: Figure 2 on page three, you will
23 see that in a little better form, more readable,
24 anyway. The -- the slides are basically taken at the
25 site over the last several years. First series will

1 be in the wood chip pile area and in this -- there's a
2 wood scrap pile and there's actually a ravine starting
3 back there that I'll identify when we get into this.

4 A lot of the slides are from an area just north of
5 where it says lagoon, and that lagoon was built with
6 -- with the debris from the process, and in the
7 process they actually ran fluid down the gully, what
8 you see as the little blue arms there, and it actually
9 sank into the ground.

10 Now, pentachlorophenol had not been dissolved in
11 fuel oil, it would never have gotten down to the
12 groundwater because pentachlorophenol in its pure form
13 is not particularly soluble in water. And so the fact
14 that they were using the process is a five percent
15 solution of fuel oil, allowed it to get -- and some of
16 their operating practices, obviously, allowed it to
17 get down into the groundwater.

18 The other slight contaminant that drives the
19 risk and for a site to be on the Superfund, on the NPL
20 list, has to trigger a risk, and this site does,
21 primarily from the groundwater and from the potential
22 contact, skin contact with arsenic-contaminated soil
23 and also pentachlorophenol-contaminated soil.

24 So the series of slides here, as I've said,
25 you'll see in the middle of Figure 2 there's a whole

1 series of buildings, some of the buildings I'll be
2 able to identify when I get into the slides, but
3 basically this is -- this is what the -- this is what
4 the site looks like. That again is on the west side.
5 Some of the old processing buildings in the foreground
6 is the wood debris, the sawdust and the shavings, as
7 they call them. This is the area where they started
8 the process, where they took the poles and cut them to
9 size and stripped the bark off, things of that
10 nature. This again is in that same area and you can
11 see areas here where we have some contamination from
12 the pentachlorophenol, and you can see the wood scrap
13 piles back here. This is the building as you enter
14 the gate in the front with Penta Wood Products logo on
15 the doorway. Again, over in the wood chip area, again
16 sources of contamination. These little sticks you see
17 sticking up over, this is -- this whole site was
18 gridded on a 200-square grid. Each one of these
19 points represents so they can identify where the
20 contamination is with a surveyed map.

21 This is a big huge pile of sawdust back here and
22 some of the sawdust is going to figure in our proposed
23 remedy because we are planning to blend this fairly
24 inert sawdust with contaminated soil which gives the
25 biological activity, gives the bugs a food source so

1 that it can contam -- so they can digest the
2 pentachlorophenol. I think this is that gully area I
3 was talking about back here.

4 Now we're switching to the north side of the
5 lagoon where they had built up a huge area of wood
6 scraps and over the years have become saturated with
7 fuel oil and pentachlorophenol, and the last couple of
8 years, because this whole area is a big sand pile and
9 with the rains it would tend to slough off, the bottom
10 actually just washed out the base of the -- of the
11 bank there and all that stuff would come down this
12 gully, and actually contaminating probably a larger
13 area than -- than the actual process area involved.

14 Some of the -- just mention that in the
15 Superfund process there is a -- there are two
16 activities; removal and a remedial. Removal part of
17 the process is to make sure that the site is initially
18 contained and that the chemicals that would drive a
19 risk that might -- someone -- some trespasser might,
20 you know, get in contact with and would cause him
21 bodily harm. Their job is to remove all the material
22 to the point where the remedial people can come in and
23 decide what best activity for cleaning, for fine
24 cleanup of the site would be.

25 This is a huge concrete pad, it's about three

1 and a half acres big, and it contains highly
2 contaminated arsenic soil with cement. And it's cast
3 into this huge three and a half acre pad about a foot
4 thick. This will be removed as part of the remedial
5 activity, but I'll get into that also.

6 Again, just so you can see the stains on the
7 soil. We're getting into the processing area. This I
8 think was what they call a decant tank. Actually, it
9 took five percent of fuel oil solution,
10 pentachlorophenol fuel oil solution, a huge vessel.
11 I'll show you in a second or so. And put the wood
12 poles in there and then they pressured that, the
13 cylinder up with these logs that had been submerged in
14 the solution and forced the solution into the logs,
15 and then they pump the stuff out and brought water out
16 of the trees, and so they brought it back into this
17 tank and separated water off the bottom and the
18 pentachlorophenol solution would decant off the top
19 back into the process. And the stuff that came off
20 the bottom is where the source of most of the
21 contamination is on the site because they took that
22 stuff and they ran it off over into the wood chip pile
23 and run it down the lagoon and it just sank into the
24 ground. And also had some pretty serious fires there
25 and they lost ten, 15,000 gallons of the solution

1 during the fires. The other thing they use, I should
2 mention, I guess, is what they call ACZA, which is an
3 arsenic, copper, zinc, water-borne solution, that came
4 -- that they used rather late in the processing of the
5 plant there. But it did cause the arsenic
6 contamination. This is one of the treatment vessels.
7 The other end is open, is the opening, and they
8 actually run the logs into that vessel. You can see
9 this is the other side of the other vessel.

10 The vessel I was showing you is over here. This
11 is another, about a 50-foot long vessel. Both of
12 these vessels -- all the equipment, basically, at the
13 plant has been sold off now. But this is again the
14 operating -- you can see the safety equipment. They
15 were -- the removal activity I was mentioning here,
16 they are taking a tank out of ground. You can see the
17 concerns for safety here. Again, they were -- some of
18 these tanks had a lot of sludge in them. They were
19 pumping them into these drums and again sending them
20 off-site to an incinerator.

21 This is me walking up the hill. This is the
22 vessel I just showed you inside the building. They
23 had to get all the equipment out because the buildings
24 actually were basically sand floors and anything
25 that's spilled went into the sand and that was an area

1 of high contamination. And that's what the removal
2 people, took a lot of the material out of there.

3 Again the same activity, materials. Here's a
4 tank they had tore out of the ground, it's all beat
5 up. And then we're getting into, after the removal
6 people left, then we have to further identify the site
7 characteristics. We do that with a series of wells
8 and a series of soil testing surface soil two, three,
9 five, ten feet until we run out of contamination.
10 Take all that data and put it into what we call a
11 remedial investigation which again characterizes the
12 nature of the contamination and the nature of the
13 chemicals that cause a risk, and we've established
14 there basically the pentachlorophenol and arsenic.

15 Just an indication of the care that goes into
16 preserving samples. These happen to be -- these
17 samples have to be maintained at four degrees
18 centigrade until they're run through the analytical
19 process and it has to occur within a certain time
20 period, but you can see all the data that goes along
21 with each sample to make sure that we can justify, or
22 that we can verify that the -- if there is any
23 question they can go back and make sure that we know
24 where the sample came from. During this remedial
25 investigation we actually did some site treatability

1 studies, which is another way of saying trying to find
2 out what we can use to clean up the contamination in a
3 cost effective way.

4 This happens to be soil vent -- soil bioventing
5 well, actually goes down into the ground 40, 50 feet.
6 And I'll get into the bioventing process a little bit,
7 but it's a method of supplying microbes with oxygen so
8 that they can do their biological activity and consume
9 the pentachlorophenol.

10 These are the things you test -- the sampling
11 apparatus and such. Here's Gina. Happy Gina taking
12 samples. The -- a lot of this material, as I
13 indicated, washed into the wetland north of the site,
14 and here are two people from CH2M Hill out in the
15 wetlands taking samples to see how far north the
16 contamination had floated, basically, that washed over
17 the surface. This looks bad. It's actually just
18 water. This is actually a very clean area.

19 Again some of the test -- this is a roto-sonic
20 drill rig, fairly advanced state of the art rig that
21 we used to drill monitoring wells, test wells, down
22 into the groundwater to establish characteristics
23 there. Another piece of very sophisticated equipment
24 I would use is a cone penetrometer, and it is a device
25 that actually is just shoved into the ground like

1 you'd shove a ruler into the ground or something of
2 that nature. It's just forced into the ground. And
3 as it goes down it has sensing tips on it and it can
4 tell what -- what the nature of the soil is that it's
5 going through and how moist it is, and how much fuel
6 oil contamination is there. And we tried to follow
7 the pentachlorophenol contamination by looking for
8 fuel oil because when we found fuel oil, which is
9 easier to find because there was more of it, we also
10 found pentachlorophenol. Here's the guys doing their
11 thing. Here's the analytical equipment, strip charts,
12 recorders that I was talking about. Actually here's
13 the actual rod string going into the ground. Also did
14 test pitting. We actually made pits across the width
15 of the lagoon area to see what was contained there and
16 you can see -- you can see there's life on the site
17 yet. That I think is a raccoon print but you can also
18 see that the stuff oozing out of the sides of this
19 trench, I don't know if you can see it or not, but
20 kind of a sheen, the sheen that's on there, which is
21 the fuel oil.

22 And this again is back down at the base of the
23 lagoon area that's washing out into the lowlands. You
24 can see all the, you know, where the stuff is sloughed
25 off the wall up here and just run down. And here's a

1 better shot of the same thing. And this is just an
2 indication of a degree of contaminated material at the
3 north end of the lagoon. This is all con -- actually
4 there's sand seams in here you can see, but basically
5 all the stuff is built up on the sand. And again,
6 basically the same type of -- here's kind of an
7 indication of the type of erosion we have on the site
8 and why it's so important to get in there and start
9 controlling this runoff problem. And actually have
10 this site -- this slide here shows where all the stuff
11 has actually been washed down, surface wash down to
12 the wetlands back in here where those two guys were
13 taking the sample. The emergency -- removal people
14 came out and under an emergency action, actually put
15 in several dikes across this washland area and we were
16 there today and it looked like it improved that
17 situation immensely.

18 Again, this is treatability study. When
19 extended that pentachlorophenol will actually break
20 down if exposed to sunlight and doing some tests to
21 see how fast that occurs. Reasonably fast. It takes
22 a big area, a lot of other problems associated with
23 trying to spread a huge amount of contaminated water
24 on the surface to let the sun destroy the
25 pentachlorophenol. So it was in the initial studies

1 but it didn't make it through to the final options.

2 Here again is the backhoe digging the trench.
3 This is looking down the length of the trench. You
4 can see the contaminant coming out of the site and
5 this is surface stuff so you can see that the moisture
6 is contained fairly close to the surface, and actually
7 oozes out, and this is a pretty gruesome stuff that is
8 contained here. It's more like the stuff in the
9 bottle than anything.

10 And that basically is the series of slides I
11 have and so the next thing I go into is the findings
12 at the site and what we're proposing to do for the
13 cleanup. Are there any questions anybody has so far
14 that anybody wants to ask? Again, I've indicated that
15 pentachlorophenol and arsenic are the two chemicals
16 that drive the risk at the site. Copper and zinc are
17 also there but they don't drive a risk and they're
18 four semi volatile compounds, PCP's one of them, but
19 naphthalene is one. The reason I mention it is
20 because the Wisconsin laws cover the contaminant
21 concentration they will accept.

22 I guess all this says, you know, the process, we
23 had contaminants and we've taken care of the
24 groundwater is the big area, one of the big areas. It
25 contains free-floating pentachlorophenol solution. It

1 does have chloride, again it doesn't drive a risk, but
2 it is state of Wisconsin concerned and then there is a
3 total petroleum hydrocarbons constituents of PCP.
4 Actually if it turns out if you have to have your
5 druthers, it's kind of nice we have this because this
6 serves as a food for the bio -- for the microbes that
7 basically, as I understand it, ingest
8 pentachlorophenol. They kind of breathe it. So it's
9 -- they eat the stuff as food and they breathe this
10 stuff as their energy source, and in the process
11 destroy it. Just mention the removal action activity,
12 28 storage tanks, some of these were below ground.
13 43,000 gallons of sludge that I showed you them
14 drumming up. They had to demolish the treatment
15 building because the floors are contaminated. They
16 had to get at it and get it out of there. Took 1600
17 cubic yards of arsenic-contaminated soil and it was --
18 the combination made it impossible for them to
19 solidify on-site. Solidify means you basically
20 mechanically bind the arsenic in the lattice of the
21 cement so it stays there and doesn't leach into the
22 groundwater. Arsenic actually doesn't leach. It, by
23 itself, very -- it's a very stable compound. It
24 doesn't leach into the groundwater anyway.

25 But anyway -- and then this is the big cement

1 pad we made is made out of 4,000 cubic yards of this
2 arsenic-contaminated soil. Again, this is just where
3 the sources of the contaminants are we have to worry
4 about and I'll get into that a little later when we
5 get into the actual remedy.

6 Again, it's fairly localized. There's a big
7 soil column in the lagoon area that's highly
8 contaminated. There's the floating liquid that I've
9 talked about. And then there are these little spots
10 here and there on the site. A lot of it caused by
11 just surface runoff. That we've got to address. So
12 the RI, as I said, the contaminants are mostly on-site
13 except the area contaminated by surface runoff.
14 That's what this says. And this northern lagoon wall
15 is collapsing. I don't think there's anything on
16 there that -- yeah. This is kind of an interesting
17 phenomena. We kind of expected this is going on.
18 It's what we call a natural attenuation. And again,
19 it's evidence of biological activity in the
20 groundwater itself. Same thing goes on in the
21 groundwater that goes on in the soil. It's like a
22 compost pile. You can think of it as a compost pile
23 but it's occurring in the groundwater. Microbes eat
24 the pentachlorophenol and the -- breathe the
25 pentachlorophenol and eat the fuel oil. And also

1 found that the contaminated groundwater is not flowing
2 into the wetland off the site, which is like, made the
3 job a lot easier to handle.

4 Again, PCP and arsenic are the site risk. They
5 both can cause cancer. They both cause other damage
6 to human organs. But the major risk is of drinking
7 the contaminated groundwater or touching the soil.
8 When we get around to evaluating the alternatives, I
9 really didn't mention the feasibility study, but after
10 we get the RI we look at all the potential ways to
11 handle cleaning up this material, all the way from
12 highly sophisticated super expensive technology, down
13 to what we feel is cost effective, although -- and
14 reasonable. And when we make -- when we do that, the
15 study, we look at these nine points, the other five
16 I'll get to, but first of all, it's got to be -- the
17 remedy has got to be overall protection of human
18 health and environment. If it doesn't meet that
19 criteria it isn't a remedy. It has to be compliant
20 with basically other Wisconsin laws. It's got to be
21 permanent. It has to reduce the contaminant mobility,
22 toxicity, and volume through treatment. While you are
23 doing it it can expose the workers to major risks.
24 It's got to be doable. In other words, it's got to be
25 something that's a proven technology, for the most

1 part, and the cost factor comes in, and then the two
2 bottom criteria the state has to accept it. We work
3 with the state in making sure that everybody's on
4 board leading up to the remedy proposal, and then
5 tonight we're asking for your comments.

6 I think I'm just going to talk about the
7 alternative -- the alternative, like I say, we looked
8 at, I don't know, Gina, what, 15, 20 different
9 combinations of things. Some were chemical like
10 putting hydrogen peroxide into the ground and
11 destroying, just oxidizing the pentachlorophenol fuel
12 oil that way. It's a very expensive way to go, but if
13 what we're doing doesn't work, and we'll find that out
14 as we get into long-range monitoring, the law's going
15 to be written so we can open up some of these other
16 options we initially considered and didn't pursue
17 because they were too expensive or it didn't look as
18 if it made a lot of sense to do them at this time. So
19 anyway, alternative three was the alternative that's
20 mentioned in the proposed plan. What we're going to
21 do is probably have to mention, there's a whole series
22 of things that have to be done for all the alternates
23 we looked at and that's shown on page four, and I'll
24 just read them off. Fence the area, we're going to
25 put the soil cover on. We're going to put

1 institutional controls on that particular area that's
2 fenced. We're going to demolish all the buildings
3 on-site, not just because they look bad but because
4 it's going to make it -- it's necessary for us to
5 regrade the -- and recontour the land and put soil
6 down and get the grass or trees or something to grow
7 on it so we control this erosion problem. That's the
8 next step. Solid erosion control measures. The
9 highly contaminated arsenic soil we're going to
10 solidify and place under the soil cover. When we get
11 all done the concrete pad will be removed. Probably
12 use it during the remedial activity. But it's going
13 to be into a buttress for this lagoon wall.
14 Long-range environmental monitoring. And if we have
15 to -- if -- for some reason we haven't noticed a
16 movement of contaminants off-site. If they do get
17 into off-site resident wells we'll have to provide
18 some way of controlling that contamination. So
19 anyway, alternative three says basically all the
20 surface soil that contains pentachlorophenol and low
21 level arsenic is going to be consolidated in the gully
22 area because that's where the major sources of
23 contamination are. We're going to install a
24 groundwater collection and treatment in that area
25 which is going to pump out this, what we call this

1 LNAPL, this fuel oil PCP blend of material. It's
2 about 550,000 gallons of it. While we're doing that
3 we're going to drop the water table so that this,
4 where is it under, where, oh, bioventing, okay. So
5 that the bioventing can also occur in this what we
6 call smear zone. The sands above the free-phase
7 liquid contain a lot of material. You can imagine
8 taking gasoline and dumping it into a bucket of sand,
9 you get some coming out of the bottom but you also
10 have the sand just saturated with gasoline and we also
11 have to get rid of that, so the intent is to run this
12 bioventing operation.

13 We've done, as I've indicated before, done some
14 studies on-site, we've done some studies off-site. It
15 looks like the microbial activity at the site is very
16 high. We're hoping that this will work but the only
17 way we'll ever find out is to do it. And it's fairly
18 inexpensive to do it. So we're going to get rid of
19 the free-floating liquid, get rid of the PCP in the
20 soils, the monitored natural attenuation, the
21 monitored part is the -- to make sure it's working
22 properly. The natural attenuation, basically says
23 that nature takes care of itself if you give it a
24 chance and you give it the right conditions. And
25 that's -- that's for this zone around the -- the

1 highly contaminated groundwater. And basically this
2 is the remedy. And when I get through the slides
3 here, I'll go over this little map on the wall and
4 indicate a little bit better a little figure on the
5 wall, indicate a little better where those areas are.

6 So soil cover, bioventing, groundwater
7 collection and treatment, monitored natural
8 attenuation, that's the things I mentioned earlier.

9 So the next step is we're here tonight to
10 solicit your comments about what you think about what
11 we plan on doing or propose to do. When we get all
12 those comments in we'll review them. We'll go ahead
13 and make a final cleanup plan. We'll have to put out
14 what I indicated is the final document in the
15 Superfund ROD which is the Record of Decision. After
16 that it's actually getting into the remedial design or
17 remedial action. That's these two here. So that's I
18 think all I had to say.

19 MS. PASTOR: Tom, did you want to say a few
20 words on how you work with Ken?

21 MR. KENDZIERSKI: Okay. I'm -- my name is
22 Tom Kendzierski. I work with Wisconsin DNR out of
23 Spooner. I'm a hydrogeologist and I guess I'm kind of
24 the armchair quarterback here. Ken is the lead role
25 and EPS is funding this investigation. They hired

1 CH2M Hill and so my -- my role is to provide technical
2 comments and to provide the state's perspective on
3 what's going on out there and how the investigation
4 and cleanup is proceeding. I guess if you talk about
5 roles, maybe armchair quarterback, or whatever, might
6 not be the way to look at it. Probably a better way
7 is to say it's kind of a partnership between the state
8 and U.S. EPA on getting this site cleaned up, and I
9 guess I've been involved all along, like Ken said, in
10 providing comments as things progress, and been a
11 local contact. Spooner's only a half hour away, and
12 that's provided me with some advantages to help out
13 too. I have looked at the plan and I think it's a
14 good one. I agree in principal with the things that
15 that are presented. I think it will meet the state --
16 state requirements for it. There's a number of -- a
17 couple things about it that I think are good. It
18 meets our policy for in-place or on-site treatment,
19 for the most part. It minimizes the area of the site
20 that remained under treatment for a long period of
21 time, and minimizes some of the long-term care
22 requirements.

23 There are a few technical and regulatory
24 details, I guess I could call it a crossing the I and
25 dotting the -- crossing the Ts and dotting the I

1 exercise, and Ken and I have been talking about a few
2 things, and that's all going on, like Ken said,
3 towards our state acceptance of the plan or their
4 criteria, and the final -- final decision.

5 I think when Ken also mentioned it there were
6 some evaluation points in the progress of things. The
7 plan is expected to take, what, ten years?

8 MR. GLATZ: Yeah. Yeah. I mean with
9 something as untried as this, although it's -- it's
10 not a mystery, it's occurred at other sites under the
11 same conditions. We have every belief that it's going
12 to work effectively here or we wouldn't be at this
13 stage of recommending it, obviously. But to know --
14 for example, we don't know for sure if 550,000 gallons
15 of stuff down in the ground, or 250,000 gallons or
16 what, because all we're doing is taking the data we
17 have and extrapolating it, and it's pretty hard to say
18 how long it's going to take, but we will obviously be
19 looking at it periodically and if things aren't moving
20 then other actions will be considered.

21 MR. KENDZIERSKI: I guess an analogy would
22 be making your trip back to Chicago. You know you are
23 going to get there and you can pretty much predict how
24 long it's going to take, but may have some adventures
25 along the way.

1 MR. GLATZ: Not too many, I hope.

2 MR. KENDZIERSKI: So that's -- that's really
3 about all I have to say.

4 MS. PASTOR: Okay. We'll let Mary --

5 MR. GLATZ: I was just going to say
6 something, we have this erosion problem. Although it
7 occurred before we even had the RI going and actually
8 was a problem before we even were aware of it. Tom
9 was very persistent in getting some activities that,
10 you know, done at the site to control this runoff
11 problem and through his efforts basically were able to
12 come up with this emergency action at the site that
13 that has controlled a lot of the sloughing of the
14 contaminant to the wetlands, so he's -- he's more than
15 a sounding board. He's in there pitching.

16 MR. KENDZIERSKI: Are there any questions?

17 MS. PASTOR: We'll let Mary talk about the
18 health effects.

19 MS. YOUNG: Mine won't take too long, so
20 fortunately the meeting is not going to go too long
21 tonight. My name's Mary Young. I work with the State
22 Health Department and we've been associated with this
23 site on and off since the early 1990s. Kim Breault
24 worked in this site for quite a while prior to the
25 emergency, the removal actions that occurred. He was

1 an environmental engineer, worked on the site for a
2 while. When the remedial -- when the investigation
3 was completed this spring, Tom contacted me and said
4 we're going to be doing a cleanup action here and we'd
5 like for you to look at the remedial investigation.
6 And what this does is Tom, I see Tom and I kind of in
7 the same situation in a way right now. It's like if
8 you're building a house. I guess I see us as kind of
9 building inspectors, only I don't have much power to
10 enforce anything, but what I can do is I can look at
11 the building plan and I can say is it protective of
12 public health. And so I looked at the investigation,
13 looked at the numbers. I called some residents who
14 lived right around the site to ask them if they had
15 health concerns that we needed to investigate and see
16 whether or not they were related to the site. I went
17 -- Tom took me for a site visit so that I could have a
18 look at the site and see if I saw anything that was
19 obvious that maybe hadn't been brought up in the
20 investigation. And from those things I came up with a
21 few conclusions that really just support the cleanup
22 and I just wrote them. These are fancy slides here.
23 Essentially to reinforce what Kim had determined
24 earlier, a number of years ago, to reinforce what Kim
25 had concluded years ago, people who worked on this

1 site may have been exposed to very high levels of
2 arsenic and pentachlorophenol. And who knows if
3 they'll have health effects down the road from them.

4 Probably the most critical health effects they
5 would have had would have been while they were working
6 there, because PCP is a very strong irritant and they
7 would have had, you know, irritation to their eyes,
8 nose, throat, but they could have experienced some
9 damage to their liver and kidneys, and there is a
10 possibility of a cancer risk from PCP. Animal studies
11 have showed -- have shown cancer but we haven't really
12 seen it in an occupational exposure. Arsenic causes,
13 is known to cause cancer of the skin. And another
14 condition that's called chloracne -- no, that's the
15 PCP that causes the chloracne. The arsenic causes
16 changes to the skin that can end up resulting in a
17 skin cancer. So it's possible that people could
18 eventually have some illnesses from that exposure.

19 We've been recommending for a long time that if
20 people are concerned they should talk to their doctor,
21 explain what they maybe have been exposed to when they
22 were working there and then we've offered consultation
23 with Doctor Henry Anderson from the Division of
24 Health. And by the way, all of these recommendations
25 and conclusions are in this green fact sheet.

1 We also recognize that surface soil is an issue,
2 that if -- if nothing is done to this site and people
3 would moved onto that property, they certainly would
4 have a long-term risk of contacting PCP and arsenic in
5 soil.

6 If -- if nothing is done to the site there is a
7 possibility that that contaminated groundwater could
8 make it to the private drinking water supplies that
9 are right around the property. And we're confident
10 that that's not going to be an issue but, of course,
11 it could be if it's not cleaned up. We're
12 recommending that environmental agencies, whether it
13 be EPA or if it eventually is turned over to DNR, that
14 those drinking water wells continue to be monitored
15 until, or the monitoring wells continue to be checked
16 to make sure that there's not a threat to the people
17 who live right around there.

18 And finally are the physical hazards. You saw
19 the picture of that gully and how it's washed out.
20 While I was talking to one of the residents this
21 person told me, she lives across the street, and she
22 said that she had seen kids over there frequently on
23 ATVs running around. It's a great place to run
24 around. I mean they certainly aren't going to hurt
25 anything, I mean, you know, it's a pretty desolated

1 property at this point. But the fact is that they
2 could hurt themselves by inhaling the contaminated
3 soils or going to the edge of that gully. I guess my
4 concern is that they could fall, that whole thing
5 could give way and they could go down with it. And so
6 I think that's a danger.

7 And I know this wasn't intended to be a pat Tom
8 on the back night but I have to tell you that when I
9 was calling residents, the person who mentioned that,
10 you know, I was concerned about that. Called another
11 resident and he was concerned about the quality of his
12 drinking water. His well had not been checked in a
13 while and he was noticing a sheen on some untreated
14 water in his adjacent business. Well, I called Tom
15 with both of those things and within a day I think he
16 had logs put across places where people could get in
17 with ATVs so that health concern was taken care of,
18 and he had somebody from his office committed to
19 taking water samples at the resident's home that was
20 concerned, and fortunately his water came out clean.
21 So I think that as a local contact Tom is very, would
22 be a very good person to call if you have some
23 concerns of an immediate nature.

24 Carol Larson is here tonight somewhere. Carol,
25 if you can hear me, she has the baby. Carol is the

1 Burnett County Health Director, and she's here to find
2 out what she can about this site, fairly new to the
3 job. And I'm going to commit you a little bit, Carol,
4 if there were local concerns I'm sure she'd be happy
5 to take them and whether she could answer them or not
6 she could at least direct them to the appropriate
7 person if there were some health concerns. And -- and
8 if any of you have concerns I would certainly like to
9 know about them, because we can still make
10 recommendations to EPA, if there are some things that
11 maybe have not been addressed or that we haven't
12 thought of.

13 In preparing this, just a quick little plug. In
14 preparing this fact sheet that summarizes health
15 concerns, I actually created this more tedious
16 document that's called a Site Review and an Update.
17 This is a draft document and if any of you are
18 motivated to read ten pages and give me your comments
19 I would be very happy to have your comments. I have
20 several copies of these but I didn't think that as a
21 general rule people wanted them. I have a comment
22 form here and I'd be happy to give you a copy if you
23 think it's something you'd be interested in looking
24 at. It will be in the repository.

25 MS. PASTOR: Even though it says draft?

1 MS. YOUNG: Sure.

2 MS. PASTOR: We don't typically put things
3 that say draft in our library with our documents so I
4 wanted to make sure I was doing the right thing.

5 MS. YOUNG: Okay. Do you have any
6 questions?

7 MS. PASTOR: Yeah, anybody have any
8 questions? We are trying to move it along and keep it
9 a little informal since there weren't that many of
10 you, but if you have any questions, anything that
11 you'd like to ask of Ken, Jim?

12 MR. BISHOP: Yeah, I'm just curious, how
13 long will it take before this area is cleaned up where
14 you could move in another industry?

15 MR. GLATZ: Actually the only area that will
16 have restrictions on it is this area right here,
17 because the rest of this stuff is all going to be
18 consolidated over in this area. This is where the
19 treatment's going to go on of the groundwater and the
20 soil column and the surface soils that have been
21 reconsolidated and covered over here. So basically
22 this, you know, this adjoining area is going to be
23 usable ground again. In long range this will be,
24 although it may have very limited utility. Maybe only
25 get for parking lot, I'm not sure, but --

1 MR. BISHOP: Are they looking at planting
2 trees there or doing anything?

3 MR. GLATZ: Really haven't got into what the
4 final outcome on revegetating the soil. Talking about
5 getting FTW, public owned sewer management, sludge,
6 mixing it with soil, maybe hydroseeding it, maybe
7 getting the agriculture or forestry department to come
8 in and plant trees or whatever. We noticed that back
9 in this area that the trees are coming back by
10 themselves so we think that what was it, loblolly pine
11 or what, the pines that grow up in that area, I don't
12 know what they are, white pine, whatever.

13 MR. BISHOP: Probably be a spruce.

14 MR. GLATZ: Spruce.

15 MS. PASTOR: You think right after our
16 cleanup is done someone could move in and open up a
17 business?

18 MR. GLATZ: I can't say that because I don't
19 know what the legal outcome is going to be or the
20 pentachlorophenol, or the Penta Wood Products. They
21 haven't paid their -- their taxes for several years

22 MS. YOUNG: Property taxes.

23 MR. GLATZ: Nobody wants the property,
24 obviously, so I really can't say. I mean I don't
25 know. I really don't know what's -- that's a legal

1 issue that I really have not --

2 MS. PASTOR: Sir?

3 MR. DUEHOLM: As far as some industry or
4 anything going back in there, I just saw a quick
5 summary that some of the cleanup is looking at 30
6 years, long-term.

7 MR. GLATZ: specifically for this zone
8 here. This other area will be done in a couple
9 years. I mean the next step will be to get the ROD
10 signed. From the ROD signing we go in and get another
11 contractor on board. Assuming -- and the assumption
12 is that this whole -- this is what they call a fund
13 lead. In other words, the federal government's paying
14 for it, the state is paying ten percent of the up
15 front, we're paying for the operation of maintenance
16 for the first ten years. The state then picks it up.
17 Tom's concern, obviously, is that he would like it
18 cleaned up in ten years so they don't have to, you
19 know, do long range O and M on it. I don't fault him
20 for that at all, but again, we're going to be looking
21 at what's going on in here. Probably more than once
22 every five years, probably more like once every year,
23 and so we're going to, you know, use our judgment and
24 say this is going great, you know, it's looking good.
25 It's doing what we expected it to do. Projected maybe

1 it's 15 years, I don't know. I don't know. I mean
2 you don't know until you get the data on how it's
3 going to extrapolate out, but the intent is if it
4 isn't going on we're going to do something more.

5 MR. DUEHOLM: Who has the say then as far as
6 when something can be done with the property, when and
7 how?

8 MR. GLATZ: Yeah. Again, that's -- that's
9 not my strength. That's our office of regional
10 counsel and I think even the state is involved in
11 that. I mean from a purely risk point of view, as
12 soon as all this stuff's consolidated in this area the
13 land is open for redevelopment. Whether legally you
14 can do that that's another story, because that gets
15 back into who owns the property, when are they going
16 to pay their taxes, all that kind of stuff. I mean
17 Penta Wood Products would typically have been
18 potentially responsible party and they would have paid
19 for all the stuff we're going to end up paying for.
20 But they're bankrupt, I guess they're not bankrupt,
21 basically out of business. And so the only -- there's
22 one individual that was with Penta Wood Products who
23 is, has a settlement going with the federal government
24 now, and he's instrumental in letting us do some of
25 the stuff we're talking about doing here as far as

1 putting deed restrictions on the property. You can't
2 use the groundwater in this general area. Can't use,
3 you know, you can't violate the fence, that type of
4 stuff. So I mean, I don't know. I can give you a
5 person to talk to if you'd like to talk to someone
6 about it further, but it's our intent to get that land
7 to the point where it could be used effectively as
8 soon as it can be.

9 MR. KENDZIERSKI: The state, too, is all of
10 our environmental repair programs we've changed the
11 immediate name to remediation and redevelopment
12 program and reorganization. That is our goal to get
13 these sites back into the preferable use as soon as
14 possible. Like Ken mentioned there are legal issues
15 that I can't speak to but, you know, that is our goal.

16 MR. DUEHOLM: Sorry to keep upon that but
17 I'm saying if somebody is looking at the property, are
18 they going to be looking to the state or the EPA to
19 give it a clean bill of health, i.e., something in
20 writing that there's no longer any problem, or --

21 MR. GLATZ: We won't even put deed
22 restrictions on the areas that aren't contaminated
23 that won't even be part of the deed restriction
24 process. Only the area that's going to be in a
25 remediation will have deed restrictions on it and only

1 until there's no more contamination. The unfortunate
2 part of that is that there's traces of arsenic that
3 are going to be buried in here and that's going to be
4 an issue about what kind of a basement can you put in
5 if you are going to be digging through, you know,
6 arsenic-contaminated soil. I mean that's -- that's a
7 long ways from now and why anybody would want to put a
8 house in this particular area, I don't know. I mean,
9 you know, there's a lot of area up here in Wisconsin
10 to stick a house, not on a Superfund site.

11 MR. KENDZIERSKI: I guess that's another
12 thing I see is a continuum that as the site gets
13 cleaned up whoever would be looking at a piece of
14 property no matter where it is looks at all the
15 benefits themselves and all the drawbacks that the
16 property might hold. And then you make a decision
17 whether or not you want to buy that property or
18 acquire it for any reason. So, you know, as the site
19 gets cleaned up and these things get consolidated into
20 certain areas, maybe there's a portion of the site
21 that could be subdivided off and whoever, if there is
22 someone that has an interest in that property they
23 would have to make a business-type decision on whether
24 or not they want to acquire, you know, the property as
25 it is.

1 MS. YOUNG: Tom, doesn't DNR give the
2 letters, though, the letters that state that the site
3 is essentially cleaned up and so that prospective
4 buyers can have a free, or I don't mean a free, but a
5 clean bill of health, essentially, or slate, as far as
6 liability is concerned?

7 MR. GLATZ: That's a joint effort between
8 the EPA and the state.

9 MR. KENDZIERSKI: We have some assurance
10 letters.

11 MS. YOUNG: At least at the Brownfields
12 program you do.

13 MR. KENDZIERSKI: Right. We have some
14 assurance letters and there's been some changes in the
15 liability laws in the state for contaminated
16 properties, and those are designed to provide things
17 for people that pick up these properties and get them
18 back into productive use and not be scared off with
19 some of the liability issues associated with the
20 site. And that's pretty much on a case by case basis
21 too, so -- but there are some legal mechanisms and
22 assurances that are available and also loan programs,
23 too, to redevelop properties. That's a whole 'nother
24 subject actually on how you redevelop contaminated
25 properties, and if you're interested I think that we

1 can talk about it some more. It's a pretty big
2 subject.

3 MR. GLATZ: Is that the Brownfields issue up
4 here?

5 MR. KENDZIERSKI: Yeah.

6 MS. PASTOR: Anyone else have a question?
7 Well, if not, I would like to at least ask if you have
8 any public comments, you know, your opinion, your
9 thoughts on what we're recommending. It's not cast in
10 stone until that Record of Decision document that Ken
11 was referring to is actually signed, so this is just a
12 recommendation stage that we're at. And the comment
13 period runs through August 8th. So if you don't want
14 to say anything right now, that would be okay. You
15 want to think about it a little longer, you want to
16 mail your comment in, there's a little sheet in the
17 middle of the gray fact sheet that you can use a
18 self-mailer you can mail it, you can hand it to us.
19 You can Email your comment, you can fax them to us.
20 We take them pretty much all forms except I think
21 over, except over a telephone call, but otherwise, a
22 written comment would be put into the official record
23 just as much as a comment that you would make tonight,
24 so as opposed to questions, if you have a comment, an
25 opinion, a statement you'd like to make, this would be

1 the time to do that and the court reporter would be
2 happy to take that down, and just make sure she gets
3 your name properly spelled and let us know what you
4 think, or not? Well, okay. You don't have to do it
5 now. We won't -- I guess we won't go any further on
6 the public comment portion then. I guess we'll just
7 kind of close that for now. But do think about it and
8 if you have any opinions or if you know some of your
9 neighbors might have some opinions or some thoughts,
10 please encourage them to send in their comment to us
11 because, you know, that's why we're making these
12 recommendations, because we want to make sure that
13 it's something that the -- that the folks who live in
14 the local area would be agreeable to as much as the
15 state and as much as we like it we still want to see
16 if we can get the buy-in from the people who live
17 right near the site. So if you don't have any other
18 questions, comments or anything, then we can just kind
19 of end the -- this meeting, and we'll stay around, we
20 came a long way, so if you have any questions and you
21 want to look at the maps or the pictures and just want
22 to talk individually to Tom or Ken, pat Tom on the
23 back some more, feel free to go ahead and do that.
24 Otherwise, we thank you for coming and please stay and
25 ask us some more -- some more about the site.

NORTHWESTERN COURT REPORTERS

1 MR. KENDZIERSKI: I just want to add if
2 anybody has any questions for me and you want to call
3 me, I'm at the DNR headquarters in Spooner and just
4 ask for Tom K, they know who I am.

5 MS. PASTOR: Your number's on the facts
6 sheet, too.

7 MR. KENDZIERSKI: Okay. My -- the -- my
8 direct number is 635-4057.

9
10
11 * * *
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF MINNESOTA)


2 COUNTY OF WASHINGTON)

3 Be it known that I took the foregoing hearing, on
4 the 15th day of July, 1998, at Siren, Wisconsin;

5 that I was then and there a Notary Public in
6 and for the County of Washington, State of Minnesota,
7 and that by virtue thereof I was authorized to
8 administer an oath;

9 that the hearing was recorded in stenotypy by
10 myself and reduced to print by means of Computer-Assisted
11 transcription under my direction, and that the hearing is a
12 true record of proceedings to the best of my ability;

13 Dated this 28th day of July, 1998.

14 
15 _____
16 Cheryl Benson, RPR
17 Notary Public
18 Washington County, Minnesota
19 My commission expires 3/19/99
20
21
22
23
24
25

NORTHWESTERN COURT REPORTERS