

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

PUBLIC MEETING



Moss-American Superfund Site  
Vincent High School - Room 180  
7501 North Granville Road  
Milwaukee, Wisconsin

Wednesday, March 18, 1998

7 p.m.

ORIGINAL  
TRANSCRIPT

1 MS. PASTOR: Okay. I think we'd  
2 like to get started. It's 7 o'clock, and I like  
3 to try to start on time when I can. My name's  
4 Sue Pastor and I'm the Community Involvement  
5 Coordinator assigned to this project. I work  
6 for U.S. EPA in Chicago, and my coworker is Russ  
7 Hart, and he's the Project Manager who's been  
8 working on this project for the last few years.

9 Also over here is Gary Edelstein  
10 with the DNR, and he's Russ's colleague and  
11 counterpart in the DNR. And Mary Young is up  
12 here in the brown shirt, and she's with the  
13 Division of Health, and if you have any  
14 health-related questions, she'd be happy to  
15 answer any questions you might have along those  
16 lines.

17 Hope you all picked up an agenda  
18 because I want to kind of stick to the program  
19 here. And if you'll notice, we'll -- I'll talk  
20 for a couple minutes and then Gary can talk a  
21 little bit about how he's involved, and then  
22 we'll go right into Russ, who will kind of give  
23 a brief overview of the site and the cleanup  
24 options we're looking at and the proposed plan,  
25 and then we'll take your questions as long as we

1 need to.

2 And then you'll notice there's a  
3 part there that says public comments, which is a  
4 little different than questions because after  
5 you've gotten all the questions off your chest,  
6 then we'd like to hear from you as far as your  
7 opinions, your thoughts for the record, and if  
8 you'll notice we have a court reporter sitting  
9 over here, and although she'll be taking down  
10 the proceeding of the entire meeting, what we're  
11 particularly interested in is the part of --  
12 named public comments, and at that point if you  
13 have a statement or a thought, not a question,  
14 it's just your -- your opinion in statement  
15 form, she will be taking that down, paying  
16 particular interest to your name or if you're  
17 with an organization or governmental body. If  
18 your name needs to be spelled, I'm sure she  
19 would appreciate that, and if you -- I gave her  
20 carte blanche to go ahead and holler out if she  
21 can't hear you or didn't catch a word or  
22 something you said. So if she does that, don't  
23 be offended.

24 And then, you know, if we have to,  
25 we'll try to -- we'll stick around a little bit

1 after the meeting. Thanks for coming out on  
2 such a rainy, nasty night.

3 We have some overheads that we'll be  
4 taking from, and if you notice we have a nice --  
5 nice picture of what a low thermal desorption  
6 unit looks like, and Russ will talk a little bit  
7 about that in a little while.

8 I hope that a lot of you probably  
9 got this in the mail. This is the proposed plan  
10 fact sheet, and if you got that in the mail,  
11 then you're on our mailing list, and if you're  
12 not, by signing in at the front table there,  
13 then you will be on the mailing list and then  
14 you'll get a free lifetime subscription to  
15 everything we send out pertaining to the  
16 Moss-American site. And we try to send out  
17 quite a bit. Over the years, probably since  
18 about 1990, we've put out oh, I don't know,  
19 maybe eight -- seven or eight or nine, nine  
20 pieces, so if you haven't been on the mailing  
21 list, then you got some catching up to do.

22 If you're able to follow along with  
23 this, we may have gotten a little carried away,  
24 but hopefully we're able to explain a little bit  
25 about where we're coming from, and if you really

1 get into this kind of information and you want  
2 even more, over at the Mill Road Library is  
3 where our information repository is and our  
4 administrative record, and that contains every  
5 shred of documentation, information, that leads  
6 us to our decisions. So if you really want to  
7 read up on documents in particular, that's the  
8 place to find them.

9                   And if you have a question about  
10 which document that would be helpful to you or  
11 you're overwhelmed because there's so many and  
12 they're so thick, Russ could probably help you  
13 out. Feel free to call us back in Chicago. We  
14 have an 800 number. It's plastered on the fact  
15 sheet and on the agenda. Try to leave a voice  
16 mail if we're not there. We do travel. We're  
17 here, so we're not in Chicago today, but we'll  
18 return your calls. If you have any questions  
19 about anything, we do want to hear from you.  
20 E-mail is another popular way to get in touch  
21 with us these days, and our E-mail address is on  
22 there as well.

23                   And we can take your comments, if  
24 you don't like to speak before a room full of  
25 people, we'll take them written. There's a --

1 in the middle of the fact sheet there was a  
2 little stand-alone mailer. We've already gotten  
3 a few in the mail already. And if you just want  
4 to hand that to us tonight, you can do that. If  
5 you want to take your time and mail it in, you  
6 could do that, too. If you want to E-mail us a  
7 comment, you could do that, too. Pretty much  
8 any form in writing or verbally tonight with the  
9 court reporter would be the way to go.

10 Let's see. Was there anything else  
11 I wanted to talk about? Oh. The comment  
12 period, we're right in the middle -- we'll we're  
13 sort of in the front end of the comment period.  
14 It started last Monday, March 9th, and it runs  
15 through April 8th. So if you do want to make a  
16 comment, do try to have it postmarked by April  
17 8th. And if you choose not to make a verbal  
18 comment or hand us one tonight but want to think  
19 it through a little more and review some of the  
20 materials, your comment that comes to us any  
21 time during the comment period will also go in  
22 the record just as much as anything we would  
23 take from you tonight. So it all counts. So I  
24 think then I will go ahead and let --

25 MS. YOUNG: I'd like to introduce

1 Jim Magowski (phonetic) from the City of  
2 Milwaukee Health Department, too, if you would  
3 have questions and want to direct them -- I mean  
4 as time goes by. I'm sure he'd be happy to  
5 help.

6 MS. PASTOR: That would be good.  
7 Gary, you want to talk a little bit about how  
8 you're involved here?

9 MR. EDELSTEIN: I'm Gary Edelstein.  
10 I'm an environmental engineer. I work in  
11 Madison. I've been the project manager for the  
12 site since about 1989. The site is classified  
13 by EPA as a federal enforcement lead. What that  
14 means is that EPA is the lead agency in charge  
15 of this cleanup under Superfund, and the State  
16 is in a role where we are providing support to  
17 EPA. That's our role is support.

18 In this instance, EPA, DNP, and  
19 Kerr-McGee Corporation have signed an  
20 enforcement document that has been entered into  
21 federal court called a consent decree. And that  
22 consent decree outlines Kerr-McGee's  
23 responsibility for carrying out the remedy as  
24 selected by EPA.

25 EPA selected the remedy for the site

1 originally back in 1990, and subsequently that  
2 consent decree was negotiated among the two  
3 agencies and Kerr-McGee, making it a three-party  
4 decree. Those are the three parties.

5 As the signatory to the decree, that  
6 gives the State the role as the support agency  
7 as is clearly spelled out in the decree, and in  
8 that decree our role is to help EPA review  
9 technical submittals prepared by Kerr-McGee as  
10 part of the cleanup plan, provide information to  
11 EPA and Kerr-McGee about State laws and  
12 requirements that outline the State standards  
13 that have to be met for the cleanup.

14 In addition, should the remedy be  
15 changed or should there be any changes to the  
16 consent decree, the State must concur because we  
17 are a signatory to the decree.

18 Tonight we will have some comments  
19 on the proposed plan. We've been working with  
20 EPA and Kerr-McGee on revisions to the remedy  
21 that was selected in 1990, and the proposed plan  
22 that you have in front of you is the first  
23 culmination of how the remedy will be changed or  
24 could be changed as related to what's going on  
25 on the wood treating site.



1                   In the future there may be changes  
2                   to the river portion of the remedy, and those  
3                   are -- there are active negotiations to deal  
4                   with that. With me tonight is Benioti Felix  
5                   (phonetic), here with the very nice tie on.  
6                   He's assisting me on this project. He's here in  
7                   the Milwaukee office of the DNR and he's a  
8                   hydrogeologist, so his responsibility has been  
9                   to work on the groundwater portion of the remedy  
10                  at the wood treating site. And he's -- if you  
11                  have questions about anything relating to the  
12                  cleanup of the site, I'm here to answer them,  
13                  but if there's questions related to the  
14                  groundwater portion of the remedy I may have to  
15                  refer those to Benioti. Thanks.

16                  MS. PASTOR: Okay. And now Russ  
17                  will -- I think we'll lower the lights, but I  
18                  wanted to also acknowledge our science teacher  
19                  here, Mr. Woida, who set up a little virtual  
20                  tour of the Little Menomonee River. I guess it  
21                  sort of -- He says our web site is good, so this  
22                  is a supplement to the EPA web site. So do  
23                  check that out.

24                  We also have our web site on the  
25                  back, and if you'd just add after [www.epa.gov](http://www.epa.gov),

1 if you add slash Region 5, you'll pick up the  
2 Region 5 home page as well, and this proposed  
3 plan fact sheet is on there and our press  
4 releases, so you should be able to find those  
5 things quite easily. They're pretty clear. So  
6 thanks again for that, and now we'll have Russ  
7 go ahead and talk to you about the proposed  
8 plan.

9 MR. HART: Okay. I'm glad I was  
10 able to kind of turn on the overhead projector  
11 there, too. I happen to -- I happen to like,  
12 you know, the Dilbert comic strip and there's  
13 the one in there where the boss is using the  
14 overhead protector and he flips it on and the  
15 next little strip says I'm blind, I'm blind and,  
16 you know, Dilbert and Wally are saying, sir,  
17 don't look directly at the light. They're  
18 trying to help the boss out there a little bit.

19 But anyway, what we'd like to do  
20 tonight is kind of focus on two major points  
21 with regards to the Moss-American site, and one  
22 is shall we consider the nonresidential exposure  
23 scenario for portions, or perhaps even all of  
24 the site, and also should we consider the  
25 substitution of the technology of thermal

1 desorption as a treatment technology for soils  
2 and have that occupy the role that was formerly  
3 played by bioslurry treatment technique.

4 So if we could go to the next slide  
5 there, Sue. Thank you.

6 MS. PASTOR: Give Dilbert a minute  
7 here.

8 MR. HART: This is kind of the  
9 executive summary slide of the whole talk, so if  
10 you'd just sort of like to get a Reader's Digest  
11 view of it, or if you'd like to get straight to  
12 the chase there, this kind of sums up the main  
13 reasons at this point in time as to why we feel  
14 that some of the changes here would be  
15 warranted, especially with regards to thermal  
16 desorption.

17 One, and we'll go into detail in  
18 more of these points later on in the  
19 presentation, but we kind of feel that compared  
20 to the bioslurry approach, at least with the  
21 types of PAH materials that we have at  
22 Moss-American, that thermal desorption would  
23 give us some superior results as far as the  
24 efficiency of removing some of the toxicity of  
25 the soils.

1                   Also, it would appear from some  
2                   information that's been submitted to us by the  
3                   Kerr-McGee folks, checking with vendors and  
4                   suppliers of -- of these types of equipment,  
5                   that we can probably get the thermal desorption  
6                   technology run for about half the cost on a  
7                   cubic yard basis compared to the act of sort of  
8                   a customizing the bioslurry approach and having  
9                   that built as sort of a permanent feature there  
10                  at the site.

11                  And let me kind of just kind of  
12                  clarify this next point. One, again, you'll see  
13                  from other material that we have later on in the  
14                  presentation, in terms of speaking about like a  
15                  batch of material that's to be treated in this  
16                  fashion, the one thing that we'll show you, you  
17                  can run something through a -- a batch through  
18                  the thermal desorption unit in maybe about 85  
19                  minutes, an hour and a half, a couple of hours.  
20                  We don't mean to mislead you in any way, shape  
21                  and form and say once we go with this that the  
22                  site's going to be cleaned up in a matter of few  
23                  hours. It would obviously be several hundred,  
24                  if not maybe a few thousand batches of things to  
25                  be run through, but nevertheless, compared to

1 the time it would take to run a batch and run it  
2 through the bioslurry unit, that was estimated  
3 there sometime ago to be about 15 days for a  
4 batch. So we think that has some advantages  
5 there.

6 Finally, and this is kind of an  
7 important point because it's linked with  
8 groundwater developments here at the site, too.  
9 For one thing, the -- we feel that the design  
10 time and sort of the lag time in making a  
11 decision to go forward with this particular  
12 technique, that it could be done in a  
13 significantly less amount of time than kind of  
14 customizing the design for a bioslurry unit.

15 Basically, vendors can supply, you  
16 know, prebuilt thermal desorption units. In  
17 other words, if we were to go with this, nobody  
18 has to sit at a drawing board and figure out  
19 every nut and bolt of what a thermal desorption  
20 unit would look like. They're like prebuilt,  
21 they're mobile, and they can be brought to the  
22 site.

23 On the other hand, you would have to  
24 do a lot of customized design for a bioslurry  
25 unit. And we should note, too, in a related

1 development, that we have now received final  
2 design plans for the groundwater unit to be  
3 built to manage groundwater at the site, and  
4 there are two or three soil points that need to  
5 be taken care of before that groundwater unit  
6 could really operate efficiently. So we kind of  
7 think those are some of the leading reasons at  
8 this point in time as to why we should think in  
9 terms of thermal desorption.

10 When I was first assigned to the  
11 Moss-American site, and that was back in 1994,  
12 to give you a feeling of overwhelming confidence  
13 I had not been assigned any creosote sites  
14 before, so what that basically left for me was  
15 to read up on records of decision involving  
16 other creosote sites around the country, and for  
17 the sites that we have listed up here now I  
18 talked with the -- my counterparts, remedial  
19 project managers assigned to each of those other  
20 sites, and basically I think the reason it would  
21 be good for us to spend maybe five or 10 minutes  
22 and go through this little bit is that there are  
23 some lessons that can be learned about from --  
24 from things that have been tried and worked well  
25 at other creosote or wood preservative sites,

1 things that didn't work so well at some of those  
2 other sites. I can really probably talk, you  
3 know, for maybe 15 minutes for each one of these  
4 things, which would be much too much time for  
5 that, so we're going to pick one of them and I  
6 think it's going to get several of our points  
7 across, and that would be the L.A. Clark & Sons  
8 site in Virginia.

9                   Some lessons there I found after  
10 talking with the project manager at that  
11 particular site, one, on the good side of  
12 developments is although we have a complex  
13 enough mixture of contaminants at the  
14 Moss-American site, it could really actually be  
15 a lot worse because basically, wood preservative  
16 sites fall into two very broad categories; those  
17 that simply use creosote alone as the basic  
18 means of wood preservative, and those that use  
19 other mixtures or other blends, and one in  
20 particular they used at L.A. Clark was a  
21 substance called penochlorophenol. So they  
22 tried to preserve wood with creosote, they'd  
23 used penochlorophenol, and the particular thing  
24 about penochlorophenol that gets to be a bit  
25 notorious is that when you have some kind of

1 heavy chlorinated organic molecules like that,  
2 they can be cross-contaminated with materials  
3 like dioxins.

4 So for a site like L.A. Clark, they  
5 are using a biological approach as far as -- as  
6 trying to treat some of their materials. And  
7 what the fella told me there on L.A. Clark is  
8 because that site used both, creosote and  
9 penochlorophenol, probably contaminated with  
10 dioxins, he would have a particularly rigorous  
11 time trying to handle the residuals thereof.

12 The standards for appropriate  
13 control are about 100 times greater than they  
14 would be for simply a creosote site. So he's  
15 kind of using a biodegradation approach there.  
16 He did also have -- that same gentleman, he had  
17 a nonnational priorities list site, which was  
18 simply a creosote site only, and he used thermal  
19 desorption there and informed me he had very,  
20 very good results as far as removal efficiency.  
21 So that's good to learn.

22 One thing that he learned and, of  
23 course, they were predicting at that time that  
24 they had their record of decision on L.A. Clark,  
25 they were assuming that they were going to get a



1           pretty high removal efficiency using a  
2           biodegradation approach, but once they got going  
3           and did some pilot tests they found, and it's  
4           the same finding that we have at Moss-American,  
5           that you can get a fairly good removal  
6           efficiency with some of your smaller two and  
7           three-ring type of PAH compounds, but when you  
8           get to the four and five and six-ring compounds,  
9           the efficiency drops off very sharply so that  
10          you're no longer getting like a 75 or 80 or 90  
11          percent removal. At best you might be getting a  
12          30 percent removal. And that's about the same  
13          thing that we found at Moss-American, too.

14                        So there are some lessons to be  
15          learned, and the one nice thing was that  
16          basically we were in the same boat as L.A.  
17          Clark. The gentleman, by the way, on that site  
18          found that he had to do a ROD amendment in  
19          somewhat the same fashion that we do because his  
20          predicted removal efficiency was not nearly as  
21          great as he thought, so the cover he was going  
22          to put over things later on had to be beefed up  
23          and made much greater as far as the dimensions.

24                        Okay. Since the -- the 1990 ROD  
25          and, you know, there has been some further

1 things that we've learned on-site specific basis  
2 out at Moss-American, and that came under the  
3 category of some predesign work which was  
4 basically performed pretty much during the  
5 summer of 1994. Well, the pilot test might have  
6 been like a year or two earlier than that, but  
7 as I mentioned, this is kind of a repeat thing  
8 here, again, the pilot test that was done with  
9 how well did the bioslurry approach work at  
10 Moss-American, we had basically the same finding  
11 that the gentleman had at L.A. Clark, pretty  
12 good removal efficiency with some of the lighter  
13 PAH compounds, the simpler ones, but it really  
14 tailed off pretty badly when you got to some of  
15 the heavier compounds.

16 One thing, too, that we did find and  
17 has been worked on and that's alluded to in the  
18 plan, I believe, is that we did have an area of  
19 about an acre in about the middle of the site,  
20 pretty close to where the boundary line is  
21 between the Union Pacific Railroad and the  
22 county, and about nine or 10 feet down there was  
23 a -- well, there were several extraction wells  
24 put it, but basically there was sort of a pocket  
25 of some liquid free product creosote. To date,

1           there has been about 10,000 gallons of that  
2           material collected and sent off the site.

3                       And also, one thing that was not  
4           really known at the time of the original record  
5           of decision and it was sort of recognized as  
6           a -- a data gap that should be investigated a  
7           little bit further was there really wasn't very  
8           much in the way known about groundwater  
9           conditions on the east side of the Little  
10          Menomonee River. There was some work done  
11          during the time of the predesign work and  
12          basically, luckily to report, there was really  
13          very minimal or no contamination of the  
14          groundwater on the east side of the river. So  
15          that made things a little bit simpler.

16                      A couple other things that we do  
17          that we have kind of looked for is other  
18          articles that might help us along, we'll get to  
19          this, this is actually about the title of an  
20          October of 1997 report that EPA compiled. What  
21          this particular report did was to take a look at  
22          creosote sites where data was available in both  
23          the U.S. and Canada and kind of compile them,  
24          and it's a wide variety of treatment  
25          technologies that were used and removal

1 efficiencies that were derived from different  
2 technologies.

3 And then, too, in kind of a close  
4 cousin of creosote sites is, you know back in  
5 the days before there were pipelines kind of  
6 crossing the country and bringing natural gas to  
7 your home, a close cousin of a creosote site  
8 would have been your local hometown gas  
9 manufacturing plant where basically they would  
10 take coal, kind of subject that to heat and so  
11 forth, generate gas locally.

12 Materials that were derived from  
13 that also have a lot of PAH contamination, the  
14 same way the creosote site would, and what -- we  
15 got some reports in from the Gas Research  
16 Institute that basically in the early '90's  
17 investigated the technology of thermal  
18 desorption and found that they were getting 90  
19 percent plus removals on using that particular  
20 technology and working with contaminants very  
21 similar to what we'd find at Moss-American.

22 Now, we've used the term here  
23 officially on the board of thermal desorption,  
24 and let me note a few things about that.  
25 There's kind of a picture up there to kind of

1 give you an idea of what a typical unit would  
2 look like, but the basic concept behind it is  
3 you are not really combusting the overall soil  
4 mass. What you're basically doing is striving  
5 to raise the temperature, along with some  
6 agitation and some mixing of the soils, so what  
7 you're trying to do is sort of like volatilize  
8 and drive off the contaminants of concern.

9 Now, once you've done that,  
10 obviously you want to control it in a good  
11 fashion so that problems aren't posed to the  
12 environment in the way of air emissions. And so  
13 what you do then is you would have -- you would  
14 basically control that in one of three basic  
15 ways. You would have these off gases, so to  
16 speak, either be routed through some activated  
17 carbon so you could catch them in that fashion.  
18 You would condense them, cool them, get them  
19 back down into their liquid state, but in a  
20 concentrated liquid state which has now been  
21 separated from the soil mass, or if you wanted  
22 to you could flare them off, but with the  
23 understanding that if you happen to pick the  
24 option of flaring you must meet, since you began  
25 with a hazardous waste to begin with, since

1 creosote is that type of material, you must  
2 reach a removal efficiency rating of 99.99  
3 percent as far as an acceptable removal  
4 efficiency for working with creosote. If you  
5 are working with dioxin or anything that had  
6 materials there, you have to add two more 9's  
7 and make it 99.9999 type percent.

8           Again, two main differences as far  
9 as the technique of thermal desorption versus  
10 out-and-out incineration and, I guess, the  
11 reason I'm kind of stressing this is that  
12 typically in a -- in a community, people will  
13 tend to say I don't like incineration because  
14 gee, you're kind of burning something and you  
15 may have combustion products that you might not  
16 even know of and that's bad, so I don't like it.

17           But the thing that kind of separates  
18 thermal desorption from incineration is that  
19 one, you are not really combusting the overall  
20 waste mass. You are heating it up. You're  
21 working at a temperature of maybe say 500 to 900  
22 degrees Fahrenheit as opposed to a full-blown  
23 incinerator which might work at say 2200 degrees  
24 Fahrenheit.

25           And like I say, the main difference

1 in incineration, you are trying to combust the  
2 entire waste mass. In thermal desorption you  
3 are not attempting to do combustion. You are  
4 using heat, but you are not combusting. And I  
5 can picture some people going back out to the  
6 parking lot and said well, the guy said he's  
7 using heat and that must be combustion, so I  
8 don't believe him, but let me just give you a  
9 couple little examples from like around your  
10 house.

11 You dry clothes. You put them in a  
12 drier. You take them out. Are they a charred  
13 mass? No, they're not. Hopefully they're nice  
14 fluffy, dry clothes. You used heat in the  
15 process, but you did not combust the clothes.  
16 You put a roast in the oven. You heat it up.  
17 Did you combust the roast? Well, if you're a  
18 particularly bad cook maybe you did, but the  
19 idea is yes, you used heat for a desirable  
20 purpose, but you did not combust it.

21 Okay. In the proposed plan, this is  
22 one thing we don't actually have a particular  
23 slide on, but that's okay. You can leave that  
24 one up there anyway, Sue. We noted a little bit  
25 about the topics of presumptive remedy and

1 administrative reform, and I would just like to  
2 go over those concepts with you here for a  
3 little bit.

4 Presumptive remedy basically answers  
5 a couple of questions, and one of them is gee,  
6 haven't we seen this before? And basically  
7 where I'm coming to you on that is since the  
8 Superfund program has been in existence now  
9 since the early 1980's, I think the agency has  
10 sort of begun to build up kind of a critical  
11 mass of gee, we've seen a certain kind of site  
12 before, we've seen certain sites that have the  
13 same types of pollutants over and over again,  
14 and what you try to do is you put yourself in a  
15 situation say well, if we have seen this before,  
16 do we necessarily have to reinvent the wheel?  
17 Do we necessarily have to have a feasibility  
18 study as we did back in 1990 that was about  
19 three inches thick?

20 I should note that on -- for the  
21 class of sites called wood preservative type  
22 sites, the technique of thermal desorption was  
23 added as a presumptive remedy in 1995.

24 Now, with regards to administrative  
25 reforms, the whole idea there, you know, people



1 would basically criticize the agency and say  
2 well, sometimes you're being too conservative,  
3 you're not necessarily being fair in the way  
4 that you go about the conduct of your remedy.  
5 And over the -- a time period of like say 1993  
6 to 1995, over that three-year span the agency  
7 came out with about oh, a dozen or so per year  
8 of these administrative reforms. A lot of them  
9 had to do with liability or enforcement, things  
10 that we won't bother about here, but two things  
11 that would be of particular significance to the  
12 Moss-American site and what our headquarters  
13 kind of encouraged the Region, such as what I  
14 represent to do, is to look for sites where some  
15 of these administrative reforms might be  
16 applied. And there would be two particular  
17 types of administrative reforms that would apply  
18 to the Moss-American site.

19 One is the idea of look for more  
20 probable future land usage and gear your site  
21 cleanup to that, and the other is don't  
22 necessarily stick yourself with a technique that,  
23 really might not necessarily be the treatment  
24 technique that you should use on the  
25 Moss-American site.

1                   Let me kind of clarify some remarks  
2 here on bioslurry biodegradation. I'm not  
3 saying that biodegradation is bad. In its place  
4 it's a perfectly acceptable technology, but as I  
5 say, it's geared more to the PH-type chemicals  
6 that are the smaller, the more simpler type of  
7 variety. When you get into soils that have as  
8 their chief contaminants features more like in  
9 the heavier series of the PH's, it would be  
10 appropriate to maybe move away from a  
11 biodegradation type of approach.

12                   Let me kind of note some soil areas  
13 and gee, I might actually get to use my pointer  
14 here. These would be some approximate spots  
15 around the site where soil treatment would seem  
16 to be called for, and it would basically be  
17 three reasons as to why we might subject a given  
18 area around the site for thermal desorption.

19                   At the time of the original record  
20 of decision, the main thing that we were  
21 concerned about was simply the presence of  
22 excessive amounts of the carcinogenic PAH  
23 variety. Now we're kind of worried about three  
24 particular things.

25                   Basically, any of these points could

1 be viewed as having some excessive PAH levels  
2 associated with them, but one thing that we  
3 know, and in some areas that -- where the  
4 pumping is ongoing now, we're looking for areas  
5 that have the -- the free product creosote  
6 associated with them, excavation here might go  
7 down to more like the nine to 10 feet depth as  
8 opposed to maybe like a -- a four or so foot  
9 depth for some of the other points.

10 We also want to take into  
11 consideration regulatory developments that the  
12 State has had as far as wanting to get  
13 appropriate groundwater cleanup. It's not  
14 simply a case of trying to protect somebody from  
15 direct contact with the PAH. You want the soils  
16 in such condition that they longer pose a future  
17 source problem as far as further groundwater  
18 contamination.

19 And so there are -- these are kind  
20 of smaller scale, kind of less frequently found  
21 around the site in some of the PAH areas, but  
22 there's a little class compounds, they're  
23 commonly known as BTEX. It stands for benzene,  
24 toluene, ethylbenzene and xylene. They're a  
25 group of volatile components which could be

1 associated with like fuel oils or with creosote.  
2 There's a few spots around the site which need  
3 to be addressed so that they're not left behind  
4 and pose a risk as far as groundwater problems.  
5 So basically, these are the areas that we kind  
6 of need to look at.

7 We have a couple little hash marks  
8 here on the map. Let's get an idea here of how  
9 things might change on the Union Pacific side of  
10 the land, which is basically like the western  
11 most 20 to 25 acres, and this isn't exactly to  
12 scale, but basically on the eastern side of the  
13 site, the eastern 60 most acres is land that  
14 belongs to Milwaukee County.

15 As far as like a direct contact  
16 threat, and that might be absorption through  
17 your skin and so forth, at the time of the  
18 original record of decision we had a level in  
19 some places around the site of below -- well  
20 below one part per million. Actually, in some  
21 cases as low as 0.06 parts per million. And  
22 that would basically be using to protect a  
23 potential residential user of the site, but  
24 let's kind of take a look at the Union Pacific  
25 land.

1                   Basically, ever since the early  
2                   1980's Union Pacific Railroad has been bringing  
3                   railroad cars to the site, they have been  
4                   unloading vehicles from the -- those cars, using  
5                   it as sort of a staging operation, and we kind  
6                   of think, especially since we received  
7                   correspondence from Union Pacific Railroad  
8                   saying that they would be willing to impose deed  
9                   restrictions on any future property owners to  
10                  keep that site in an industrial nature, we think  
11                  it would be fair on the Union Pacific side of  
12                  the property to consider usage of an industrial  
13                  exposure scenario. Per the calculations that  
14                  would be done according to the State rules on  
15                  this, the cleanup level for that would be  
16                  approximately 3.1 parts per million of  
17                  carcinogenic PAH's.

18                  Now, let's take a look at the  
19                  Milwaukee County side. We are aware that the  
20                  County has a park and open space plan. We are  
21                  aware that within that plan there's some obvious  
22                  areas all up and down the Little Menomonee  
23                  River, they're kind of viewed as being logical  
24                  for use for recreational purposes. So we want  
25                  to, at this time, invite your comments as far as

1 recreational use on the Milwaukee County  
2 property.

3 We know that that particular plan  
4 has been adopted by the County. What we would  
5 be looking for before we would really go forward,  
6 would be a willingness on the County's part or  
7 their reaction to it as far as having some  
8 written deed restrictions to say that recreation  
9 would be okay.

10 Just to give you an idea of  
11 comparison for direct contact purposes, since a  
12 recreational user would not be at the site  
13 nearly as often as an industrial user, the  
14 appropriate cleanup number for direct contact  
15 only would be approximately 49 parts per  
16 million. But is that the final end of the  
17 story? There's one other thing that we need to  
18 bring into the equation here, and that's to have  
19 a brief look at the Little Menomonee River  
20 itself.

21 We know the State and Kerr-McGee,  
22 too, have both been doing some calculations.  
23 One thing that was in existence at the time of  
24 the original record of decision was, with  
25 regards to the river, to use a sediment quality

1 criteria cleanup value of three parts per  
2 million, but both the record of decision and the  
3 consent decree said or the maximum probable  
4 background, whichever is greater.

5 Well, both the State and Kerr-McGee  
6 have been doing some calculations on that and  
7 basically, we have gotten correspondence in from  
8 Wisconsin DNR that basically says it would be  
9 appropriate, considering the somewhat urbanized  
10 situation, for the Little Menomonee River to use  
11 15 parts per million throughout the river, like  
12 from Brown Deer Road maybe down to the  
13 confluence with the Menomonee, as a desirable  
14 cleanup goal as far as sediment levels for the  
15 Little Menomonee River.

16 Well, that kind of triggers  
17 something else. If 15 parts per million of  
18 sediments in the river is a desirable cleanup  
19 value, then maybe you would need to temper this  
20 49 parts per million you got for direct contact.  
21 You could do that -- This basically comes under  
22 a State statute dealing with the erosion and  
23 surface runoff protection. There would be a  
24 variety of control measures that you could use  
25 to try to clean that up or address that.

1                   So anyway, let's move along to the  
2                   next one here. Okay. At the time of the  
3                   original record of decision we identified -- let  
4                   me just note one little insertion here as a  
5                   bullet, carcinogenic contaminants, well,  
6                   actually I should stick in the terms PAH  
7                   contaminants because actually benzene has a  
8                   little bit of carcinogenic properties, too, but  
9                   here are four of them, and that's really all the  
10                  more we need to say and we'll move along to the  
11                  next one, but we'll kind of remember this.

12                  There should be one in between  
13                  there. What I'm looking for is the one about  
14                  the efficiency. That's it. We got it. There  
15                  you go. That book that I mentioned before that  
16                  came out in October of '97 about the comparison  
17                  of the different treatment efficiencies using --  
18                  utilizing certain treatment efficiencies at  
19                  different sites and different technologies,  
20                  okay, this is what we found, and I think it's  
21                  kind of and, of course, really the benzo  
22                  fluoranthene is really kind of representing two  
23                  compounds because there's two derivatives of  
24                  that, but take a look at what they got as far as  
25                  removal efficiencies using a bioslurry approach



1 at a wood preservative site in Mississippi.

2 It, like L.A. Clark and like  
3 Moss-American, they did not do real well and got  
4 some, you know, removal efficiencies in the 30  
5 odd percentile and so forth using this  
6 particular treatment technology. For those same  
7 pollutants using a thermal desorption approach,  
8 and this was at a site at British Columbia,  
9 Canada, you can kind of see a rather significant  
10 difference as far as the removal efficiencies  
11 that they got.

12 The conditions, by the way, for  
13 using the thermal desorption, at this time they  
14 were running at 900 degrees Fahrenheit and the  
15 retention time in there was 85 minutes.

16 Okay. I think we can move along to  
17 the next one. Okay. When we evaluate either  
18 like a -- a record of decision or make a  
19 decision thereof or an amendment thereto, there  
20 are nine basic decision criteria that we use.  
21 Let me just kind of note, because really we  
22 don't need to go through the whole list there,  
23 would be four that would be of some significance  
24 as far as where we are now.

25 With regards to ARAR's, you can kind

1 of see what that stands for, one thing I should  
2 note about the subject of the regulations that  
3 we need to follow, they are considered to be  
4 frozen at the time of the original record of  
5 decision, and the reason for that is if  
6 somebody's working away at a design and either  
7 say like the EPA or the State comes up with a  
8 new regulation standard, it might be pertinent  
9 in some fashion, but my gosh, you don't want to  
10 throw out your whole design document just  
11 because somebody passed a new rule.

12                   However, if you do actually make a  
13 significant change in the record of decision,  
14 such as what we are proposing to do, then you  
15 must consider new rules that have been brought  
16 to bear and update yourself in that. So as we  
17 have kind of noted, there are some things that  
18 we need to comply with as far as certain new  
19 developments in the way that the -- the State  
20 would want direct contact numbers for PAH's  
21 calculated, in the way that groundwater should  
22 be protected, the whole classification of  
23 thermal desorption unit comes into the  
24 classification of miscellaneous treatment unit,  
25 and there are either like Federal or State rules

1 on that, and air emissions with regards to that  
2 are also regulated. The State has a specific  
3 chapter of rules dealing with that, so we need  
4 to take that into account.

5 As you have kind of seen, and I  
6 think that a significant betterment of using a  
7 thermal desorption approach is, especially with  
8 regards to enhanced removal efficiency compared  
9 to the bioslurry approach, when we -- one thing  
10 that we're supposed to strive for in our  
11 remedies is a reduction of contaminant toxicity  
12 or mobility. Well, the BTX compounds have a  
13 certain mobility factor associated with them,  
14 and the heavier PAH compounds are also the ones  
15 that happen to be more carcinogenic. So if we  
16 can control them more effective perhaps with  
17 a -- a thermal desorption technique, I think you  
18 would get better toxicity removal, too.

19 Implementability. That has to do  
20 with some of the things I talked about earlier  
21 as far as do you need to design from scratch,  
22 and with -- with a thermal desorption I think  
23 the answer is no. Obviously there needs to be  
24 some planning that goes into that. You need to,  
25 for example, would need a verification plan to

1 take some samples after you've been working with  
2 the soils to make sure you got everything that  
3 you got, you would also need to be doing some  
4 sampling saying like after you treated a certain  
5 amount to see if you were getting it down to sum  
6 desirable levels, but basically you don't have  
7 to design from scratch and every nut and bolt as  
8 far as what would go into that. And, again,  
9 cost would seem to be a -- a definite  
10 improvement on about a half cost on a per cubic  
11 yard basis using thermal desorption.

12 Okay. Let's move on to the next  
13 one. We're going to skip over this kind of like  
14 real lightly and we've stressed the two main  
15 points to you, and that is, should we use  
16 thermal desorption instead of bioslurry? Should  
17 we adopt some nonresidential usage scenarios  
18 around the site?

19 But one other thing that we noted,  
20 and it's sort of us saying maybe it's time to  
21 pull back a concept that we originally wrote  
22 into the original record of decision. Usually  
23 what we -- Oh, by the way, this word is wrong.  
24 It should be soil, not clay. That's a typo  
25 there. What we generally strive for at

1 Superfund sites, if you put on some sort of a  
2 cap over the materials that you cleaned up or  
3 some materials of concern, 99 times out of 100  
4 you say gee, I really want to stop the  
5 infiltration of ground -- or, you know,  
6 precipitation, rain and snow, from getting down  
7 into those materials.

8 At the initial ROD on Moss-American  
9 we said you know what, maybe the soil's only  
10 very lightly contaminated, and maybe to have  
11 kind of a real sort of a permeable cap to  
12 actually encourage contact from runoff and so  
13 forth, it would help flush some of those  
14 materials out.

15 Well, let's move along to the next  
16 one now. With the finding of some of the -- the  
17 free product areas, it occurred to us that, you  
18 know, that might not be a desirable thing to do.  
19 Obviously, the pumping that has been gone on for  
20 the last three years now has taken out a good  
21 amount of that, and referring back to some of  
22 those spots I mentioned to you where we really  
23 want to excavate down to a -- a greater depth in  
24 some of the other points to get rid of some of  
25 the rest of that, but still it's kind of the

1 situation that you can really, really try to get  
2 rid of all the free product, but there may be  
3 some little pocket down there that you can't  
4 necessarily find or maybe it's just not worth  
5 going after anymore. And so that kind of gets  
6 us to rethink the concept of what the cap should  
7 do.

8 And what we would kind of think we  
9 would want to do is providing that we were using  
10 some thermal desorption is to use a cap that  
11 would look something like this. And in this  
12 case clay is the correct name to use, not soil.  
13 Clay would also get a layer of -- of soil over  
14 it so that the clay doesn't freeze and that way  
15 it helps retain its relatively impermeable  
16 nature.

17 So that we -- As what we would do on  
18 the great majority of Superfund sites is to say  
19 yeah, we really want to kind of block the  
20 precipitation from getting down in there.

21 Now, one more slide and we're almost  
22 out of here or -- If we didn't do much of  
23 anything in the way of treatment at all, and if  
24 we were to take, and somebody says how do you  
25 contain a hazardous waste. Well, if you took

1           that thing literally, you -- you're adding some  
2           other bells and whistles under the slide that we  
3           just showed you. You've got synthetic membrane  
4           here and also you've got some stuff underneath,  
5           leachate collection system, you've got sort of a  
6           sandwich, you've built a cell around this waste  
7           material. Literally, if you said hey, what's  
8           the hazardous waste containment thing look like,  
9           it looks like this, but our reasoning is that  
10          well, geez, if we're doing some pretty good  
11          removal efficiency involving thermal desorption,  
12          we don't need a Cadillac-type of containment  
13          unit like that. The one that we just showed you  
14          is the one that we think we ought to use.

15                         So finishing up, and Sue has really  
16          already given you a pretty good idea of the next  
17          step. Obviously we'd like to try to have  
18          some -- a discussion with you here and entertain  
19          your questions. I may not be able to answer  
20          them. Gosh, I don't know. We think with  
21          regards to the comments themselves, we won't,  
22          you know, attempt at this particular meeting to  
23          answer you with regards to the comments. What  
24          we basically do is compile them and take them  
25          back and try to generate, you know, internally a

1           responsiveness summary and then we kind of  
2           see -- we analyze the comments, we see what we  
3           should do, depending on how -- whichever way we  
4           go, basically either keeping the status quo and  
5           making some of the changes that we've talked  
6           about, we would again be in discussion with  
7           Kerr-McGee however it turned out on this, and  
8           also as Gary alluded to in his remark, there are  
9           ongoing, at this particular time, some --  
10          dealing more with the sediment management  
11          aspects of the site. We are not forgetting  
12          about that. We know that area of the site needs  
13          to be addressed.

14                         What the trustees, and by the way,  
15          EPA per statute is not a natural resource  
16          trustee. On the Federal side the people that  
17          would come into the picture would be  
18          representatives from like the Department of  
19          Interior and their -- their fish and wildlife  
20          people, and also on the Federal side like the  
21          NOAA people, the National Oceanographic &  
22          Atmospheric Administration people. So those  
23          would be sort of the representatives on the  
24          Federal side.

25                         I mean obviously EPA will stay in



1 touch. We will learn how those things are  
2 going, but we are not like a direct trustee  
3 ourselves. But basically what the idea here is  
4 to -- is to attempt to integrate some concepts  
5 of restoration and remediation and develop a --  
6 a plan on that, and then we'll kind of see where  
7 we might want to go on that with regards to  
8 sediment management.

9 So with that, thank you for your  
10 attention, and I guess that kind of concludes my  
11 prepared remarks there anyway.

12 MS. PASTOR: So if you have a  
13 question based on Russ's talk, this would be the  
14 time to ask. So what questions do you have?

15 AUDIENCE MEMBER: Do you want me to  
16 identify myself?

17 MS. PASTOR: More for the comment  
18 portion of the meeting, unless you want to.

19 AUDIENCE MEMBER: Question then.  
20 First of all, this is my first direct exposure  
21 to this matter in spite of the fact I live six  
22 blocks away, and I've lived here for 22 years,  
23 but I've always known that that site was there  
24 and I knew something about the issue.

25 But I guess my basic question is,

1 well, two of them actually, and maybe you don't  
2 have the answer right now, and so you know where  
3 I'm coming from here, I just wanted to feel you  
4 out as to what you know or what people know in  
5 general about this site in terms of the mass  
6 movement of PAH's to the river.

7 I would assume that the river is  
8 kind of like an outlet, if you would, for the  
9 groundwater underneath the site. If that's --  
10 That's what I'm assuming.

11 Do you know what, if you would, the  
12 flux of PAH's to the river might be now, and  
13 then what they might be if you implement either  
14 Plan A or Plan B. Excuse me. Alternative 1 or  
15 2. Has that been assessed?

16 MR. HART: I couldn't give you like  
17 say a quantitative number as far as like the  
18 actual mass that goes in like per hour or per  
19 day, but simply more in qualitative terms we do  
20 know that the groundwater is contaminated. We  
21 do know that, as I noted in my remarks, that we  
22 do have some final plans in on how to contain  
23 and treat that groundwater, but a couple of  
24 points that were sort of up in the central part  
25 of the site, those ones that were noted in red,

1 the ones that are noted as far as having some  
2 likely free product creosote associated with  
3 them, to get -- they would likely interfere with  
4 groundwater treatment operations and we really  
5 should try to get those points out -- out of the  
6 way.

7 From a qualitative point I would say  
8 yes, there is a continued influx of some PAH's  
9 from groundwater in the site to the stream. I  
10 could not really give you a real good  
11 quantitative handle on that.

12 AUDIENCE MEMBER: The only reason I  
13 bring that up is that one of the treatment  
14 technologies is, roughly speaking, about twice  
15 the expense of the other. If, in fact, both of  
16 them give you comparable results in terms of  
17 limiting or decreasing over time, and over time  
18 I'm speaking years, decades, perhaps, if you  
19 decrease the flux to the river, either way  
20 they're virtually within percent of one another,  
21 I think that would be a valuable thing to bring  
22 out in your report, that in terms of the bottom  
23 line how this site is going to in the future  
24 impact river quality, I think that would be  
25 useful for -- for you to bring out in the

1 report. That's my point.

2 The second point that I wanted to  
3 ask, or the question I wanted to ask in terms of  
4 the collection efficiency on the stack, you  
5 mentioned a 99.99 retention. Does the site  
6 degas currently? If you walked on the site,  
7 would you have a -- a noticeable odor either on  
8 a hot -- like on a hot summer day, would you  
9 notice that?

10 MR. HART: I don't -- I don't really  
11 think so. I mean I've walked around the site  
12 several times. As far as like odor problems or  
13 things like that, maybe my nose might be less  
14 sensitive than some others, but no, I haven't  
15 really noticed any --

16 AUDIENCE MEMBER: There's no  
17 noticeable degassing or anything?

18 MR. HART: Not that I can see or  
19 sniff.

20 AUDIENCE MEMBER: I was just curious  
21 because if there was, one analysis that -- that  
22 either it has been done or maybe it hasn't been  
23 done, but one analysis would be to look at the  
24 natural flux from the site, degassing from the  
25 site, versus what's coming out of the -- the

1 chimney in terms of your -- your risk assessment  
2 to the vicinity, you know, the neighbors and  
3 that kind of thing. That would be a useful  
4 analysis.

5 MS. PASTOR: Gentleman right next  
6 door.

7 AUDIENCE MEMBER: Is it possible  
8 that the answer to his question is because that  
9 site has been there a long time and that  
10 whatever volatiles are there may have been gone  
11 out a long time ago?

12 MR. HART: That is possible. I  
13 would certainly grant you that. Again, I  
14 couldn't give you any quantitative terms, but I  
15 think your concept on that sounds quite good.

16 AUDIENCE MEMBER: My only concern is  
17 that I walk my dogs, my son and I, we've been  
18 walking along from between Bradley Road and Good  
19 Hope for years, and we never knew anything about  
20 this until my son saw this in the paper Monday  
21 night. And if that river is contaminated, why  
22 isn't it posted along the river? Because the  
23 neighborhood kids from my subdivision play in  
24 that river all the time. Just last Saturday I  
25 saw at least four or five kids building a bridge

1 across it. You know how kids are.

2 MR. HART: Well, that's a very good  
3 point.

4 AUDIENCE MEMBER: The children from  
5 our subdivision, Riverton Heights, are down  
6 there quite a bit, and from the condominiums.

7 MS. PASTOR: Russ hasn't been  
8 working on this site as long as I've been  
9 involved in it.

10 AUDIENCE MEMBER: If this is that  
11 dangerous, it should be posted.

12 MS. PASTOR: A long time ago we did  
13 have signs and I think they made nice souvenirs.

14 AUDIENCE MEMBER: But there's a  
15 walkway along the Little Menomonee. The City  
16 just put that in. There's a bike trail, you  
17 know.

18 MS. PASTOR: We're not disagreeing  
19 with you, but we used to have signs put up and  
20 they disappeared about as fast as we put them  
21 up, so I mean that's -- that's --

22 MR. HART: That's -- That can happen  
23 not just at this site, but at other ones, too.

24 MR. EDELSTEIN: It did happen at  
25 this site. The County did post some signs.

1                   AUDIENCE MEMBER: There used to be  
2 signs along the river, too.

3                   MR. EDELSTEIN: Last time I was out  
4 and walked the river some of them were still up.  
5 Most of them were gone. And the -- the -- I  
6 would suggest that the County be asked to keep  
7 putting signs up and keep maintaining them.

8                   AUDIENCE MEMBER: Between Bradley  
9 and Good Hope because that is for recreational  
10 use. That is a bike trail and children use it a  
11 lot.

12                  MR. HART: That's a good point.

13                  MS. BROWN: I'm from the State  
14 Health Department and I think that's a good  
15 suggestion and we'll talk to the County or  
16 whoever might be able to do that.

17                  AUDIENCE MEMBER: There's a marsh  
18 behind the subdivision and kids are there all  
19 the time catching frogs. There's no sign on  
20 that march much up and down there.

21                  AUDIENCE MEMBER: I would just like  
22 to ask why there's no synthetic membrane in the  
23 first two diagrams? Why would you not put a  
24 synthetic membrane in just out of course?

25                  MR. HART: Sure. Yeah. I guess our

1 feeling is on that is that if we get a  
2 relatively high degree of -- of removal  
3 efficiency as far as working with the  
4 contaminated soils there using thermal  
5 desorption, we're kind of thinking that that  
6 should be sufficient and so forth.

7 I mean obviously you're -- you're  
8 right. It could certainly be more conservative  
9 and so forth if you were to have the membrane in  
10 there, but we were just kind of coming at it  
11 from the standpoint that it might not actually  
12 be necessary. That using clay and protecting it  
13 from freezing would be sufficient, a sufficient  
14 increase of lack of permeability from what we  
15 were talking about initially, which was just  
16 plain soil to be sufficiently protective, but  
17 I --

18 AUDIENCE MEMBER: Yet if you're  
19 saving half the money, isn't it worth it to do  
20 that extra, you know, little ounce of  
21 protection? Because I mean with the whole  
22 landfill thing, that's really controversial as  
23 to whether that does prevent leachate that, you  
24 know, there's a lot of people that think that,  
25 you know, eventually you will get the leaching



1 and so I just --

2 MR. HART: Sure. No. We could  
3 certainly try to take a look at what the extra  
4 incremental cost might be on that.

5 AUDIENCE MEMBER: First of all, Jim  
6 McGuigan. I'm the County Supervisor out here,  
7 this is my district, and I have a couple  
8 concerns. First of all, you talked about  
9 working on remediating the site itself, but what  
10 about the sediments that go downstream all the  
11 way to, I believe Silver Spring right now? Is  
12 there any plans to do that? And what are the  
13 dangers in the river of, for instance, kids  
14 walking in it?

15 I know that several years back there  
16 were some kids that experienced some burns in  
17 the '70's, but now that -- I would imagine  
18 there's probably some sediments from our recent  
19 flooding that are on top of that. Do you  
20 know -- Have you done a recent test to see where  
21 the layers are and how far down any -- any free  
22 product that might still be in the river, how  
23 deep would that be, and what is the chance of --  
24 of a youth actually being injured by it? And my  
25 final question, I know that's a mouthful for you

1 to respond to.

2 MS. PASTOR: We'll try to pick it  
3 apart.

4 AUDIENCE MEMBER: But you talked  
5 about finally capping the site, but there -- one  
6 thing that occurred to me and that's that that  
7 cap is going to have to be mowed yearly to  
8 prevent cracking of the -- of the clay cap by  
9 new trees that grow on that. Is the EPA going  
10 to take care of that, is the DNR going to take  
11 care of that, or is that going --

12 MR. HART: With regard to your last  
13 point, since the active remedial design,  
14 remedial action work under the terms of the  
15 decrease it's supposed to be done privately, we  
16 would expect it to be financed by Kerr-McGee and  
17 their consultant or operative. As far as who  
18 would do the work, there would be oversight from  
19 the agencies to -- to have a look at that and  
20 make sure as far as the -- the maintenance  
21 thereof and so forth, but the financing of it,  
22 we would expect to be done privately under the  
23 terms of the decree.

24 As far as the -- the sampling and so  
25 forth, no, there hasn't been any like broad

1           sampling in the river since about 1994 as far as  
2           any other further information on -- on the  
3           sediments and so forth.

4                        As I kind of note, we are -- we are  
5           not forgetting about or omitting sediment  
6           management, but actually, to go into a bit more  
7           detail with regards to your question, and it's  
8           not that the -- the agencies or the private  
9           parties are trying to put it off, but what we  
10          are kind of wrestling with are some concepts as  
11          far as sediment management and so forth.

12                       Again, noting back at the time of  
13          the original record of decision which had your  
14          sediment quality criteria of three parts per  
15          million, in essence, I think the feeling at that  
16          time was -- was that that kind of precluded you  
17          from doing much in the way of any dredging  
18          options with regards to the river to. Meet a  
19          number that low, you were pretty much stuck with  
20          or had to go to a rerouting approach.

21                       However, if the number has changed  
22          in terms of the maximum probable background  
23          calculations that have been done since the time  
24          of the ROD, and now the number we're talking  
25          about for appropriate sediment cleanup is 15

1 parts per million, now you have dredging  
2 technologies that in all probability could meet  
3 that number. Could meet a 15.

4 And so we have, the -- the parties  
5 to the decree have discussed those concepts. We  
6 have discussed in terms of well, could you use  
7 some wet dredging or maybe even a dry excavation  
8 approach. What we still need to work out would  
9 be some of the logistics as far as  
10 implementability and talk about should that be  
11 offered in terms of some other sediment  
12 management approach.

13 That, in essence, is where the  
14 discussions of the natural resource trustees are  
15 now focusing on. And as I say, they are trying  
16 to integrate some concepts of a restoration with  
17 remediation. So that's really, I guess, about  
18 how I can answer your question at this point in  
19 time.

20 We are not forgetting about the  
21 subject of sediment management. No, there  
22 hasn't been any sampling that I can think of  
23 since about the 1994 time period, but we are  
24 considering some concepts of sediment management  
25 that could represent a fundamental change from

1 the original record of decision.

2 MS. PASTOR: He had one other  
3 question about the children walking in the river  
4 and possible hazards to them.

5 MR. HART: I guess I probably really  
6 wouldn't be qualified to say. I mean obviously  
7 the thing as far as the history --

8 MS. PASTOR: But Mary Young from the  
9 Division of Health is qualified.

10 MS. YOUNG: I'm not qualified at  
11 this meeting to give you an opinion about that,  
12 but I would be happy to look at the levels, the  
13 most recent sampling that's been done, and offer  
14 an opinion about whether or not it poses a risk  
15 beyond cancer.

16 In 1991 we published a health  
17 assessment for the site, and at that time the  
18 most significant risk that we identified was a  
19 cancer risk, and a cancer risk would be for a  
20 regular exposure to the sediments and -- but  
21 beyond that, I don't know if there are areas  
22 within the river that might pose a dermal hazard  
23 that might cause some skin irritation.

24 Mr. Woida?

25 MR. WOIDA: This is actually the

1 student who suffered the affliction in October.

2 MS. YOUNG: Mr. Woida reported that  
3 one of his students sitting next to him got some  
4 of the water from the river in her -- against  
5 her skin when a boot leaked. They were down  
6 there doing some sampling, and she got some skin  
7 irritation. So it is possible that it was the  
8 levels of PAH's that caused the -- the skin  
9 irritation. It could have been a number of  
10 other things besides, but I think it would be  
11 worth taking another look at the data that are  
12 available, and I'd be happy to do that.

13 AUDIENCE MEMBER: Did you say  
14 October as in '97?

15 MR. WOIDA: Yes.

16 MR. EDELSTEIN: As a general  
17 precaution, I think we would recommend that --  
18 that people not play around or go into the  
19 contaminated areas or get in contact with any of  
20 the sediments unless they have proper  
21 protection. And it's possible that the flooding  
22 back in June may have carried more of these  
23 sediments out of the river and into the  
24 floodplain areas, into some of the wetlands, and  
25 if -- if your children are, in fact, frequenting

1           that area, it's possible that if they get in  
2           contact with this material they could get some  
3           irritation. If they ingest it, it could, you  
4           know, get on your hands and then it could -- you  
5           could get it into your mouth. That could  
6           potentially present a potential hazard and you  
7           can't -- I mean we're looking at five miles  
8           of -- of stream corridor here. You can't fence  
9           the whole thing off.

10                         Realistically, though, I think that  
11           some signs and some general notices and some  
12           publicity about this is a real good idea. As  
13           far as doing some more sampling to account for  
14           the flooding that's occurred, that is something  
15           that we have put on the table and feel that it  
16           may be worthwhile in terms of a discussion of  
17           revision to the remedy as part of these natural  
18           resource damage trustee issues that Russ alluded  
19           to.

20                         And to clarify that, the sediments  
21           in the original ROD, the sediments would be  
22           dealt with by digging a new stream channel and  
23           removing some of the grossly contaminated  
24           sediments and visually contaminated material  
25           from the old channel and treating them back at

1 the wood treating site. That portion of the  
2 remedy is still technically in place. If we do  
3 not reach agreement on a revised remedy, our  
4 position will be that Kerr-McGee should be  
5 required to carry out the original remedy, which  
6 we still feel is viable.

7           However, as Russ mentioned  
8 correctly, that we've had improvements in  
9 dredging technology. We're looking at a revised  
10 cleanup standard. I don't know if that makes  
11 that much of a difference, three versus 15, but  
12 be it as it may, there's a difference there, and  
13 the impact to the corridor from certain types of  
14 dredging technologies in terms of the trees and  
15 the wildlife and the construction-related  
16 impacts may be slightly less for dredging  
17 technologies. Certainly is less expensive.

18           So we are open to looking at  
19 dredging to replace a new stream channel, and  
20 we've been having ongoing negotiations on  
21 possibly revising the remedy to do that. The  
22 sediments are not forgotten. It's just that  
23 this proposal doesn't talk about them because  
24 it's not part of this proposal.

25           Russ talked about the -- Now I lost



1 my train of thought. What was one of the other  
2 questions that he asked?

3 MS. PASTOR: We were on, let's see.  
4 We had sediment. We had dangers to the water.  
5 We had the cap. Those are the three that --

6 MR. EDELSTEIN: Oh.

7 MS. PASTOR: Lost it, huh?

8 MR. EDELSTEIN: Regardless, the  
9 sediments have not been -- or okay. I remember  
10 now. What I wanted to say was that if we do  
11 agree on a revision to the sediment remedy -- I  
12 apologize for losing my train of thought. If we  
13 do agree on a revision to the sediment remedy,  
14 we'll come back and do this again. We will have  
15 another meeting, there will be another proposed  
16 plan, and it will discuss these revisions,  
17 and -- and that's the reason why it's not been  
18 included because it's been broken out.

19 AUDIENCE MEMBER: I got a couple of  
20 questions. First of all, about the dog and  
21 stuff in the river, I grew up out here and I  
22 went in that river while the plant operated,  
23 after the plant operated. I don't go in that  
24 river anymore. That's not --

25 AUDIENCE MEMBER: I didn't know

1 about it until Monday.

2 AUDIENCE MEMBER: The grading layer,  
3 what does that consist of in that cap?

4 MR. HART: In the one that we would  
5 be proposing to change it to, what we would be  
6 proposing to change, what it calls for now is  
7 simply 24 inches of soil, and we kind of took  
8 the position that that's really not good enough.  
9 That's really not rigorous enough at this point  
10 in time.

11 So what we were thinking of  
12 replacing that with was the 24 inches of  
13 compacted clay and over that there would be a  
14 frost protection layer of soil of about 18  
15 inches of thickness, and then topsoil and  
16 vegetation over that.

17 AUDIENCE MEMBER: But then you had a  
18 grading layer down above the residuals, I  
19 believe, it showed on your --

20 MR. HART: Oh, I think that would be  
21 more like in the way of like site preparation  
22 type work and so forth.

23 MS. PASTOR: Which one is it?

24 AUDIENCE MEMBER: It was above the  
25 membrane.

1 MR. HART: Yeah. This is the one  
2 that we are proposing, that we would be  
3 proposing to change from.

4 AUDIENCE MEMBER: What does the  
5 grading layer consist of?

6 MR. HART: Oh, isn't that -- that's  
7 just sort of like, you know, just kind of sort  
8 of like soil preparation work and so forth to  
9 kind of get ready for things to -- something so  
10 that the cap has like a good foundation or  
11 something to sit on.

12 MR. EDELSTEIN: Typically at  
13 landfills where you've got waste material, that  
14 would -- that would be six inch layer of clean  
15 soil to give you, right, a good supportive layer  
16 that would allow you to place clay on top of it  
17 because you can't place clay on top of waste.

18 In this instance we're looking at  
19 treated soil, which in itself may, in fact,  
20 provide that base. Whether that grading layer  
21 has to, in fact, be clean soil or not, or  
22 whether it could be treated soil, that would be  
23 determined during the design.

24 And by the way, I've been out here  
25 and seen people running their dogs, some hunting

1 dogs that -- we were out here, I think we were  
2 with Russ that day when we saw that, and there  
3 were dogs were running through the river into  
4 the sediments and they didn't get sick from what  
5 I could tell. They didn't look like they got  
6 burned or anything, but, again, that's an  
7 activity that I would recommend that people not  
8 do at this site until it's cleaned up.

9 AUDIENCE MEMBER: Outside of dogs,  
10 what about kids?

11 MR. EDELSTEIN: Like I said before,  
12 I wouldn't allow my kids to go down there and  
13 play around in the mud.

14 AUDIENCE MEMBER: What's the  
15 proposed volume of soil that you're going to  
16 remove?

17 MR. HART: Oh, like to be treated?  
18 I think it would be at least 20,000 cubic yards,  
19 and it could be higher than that. That would  
20 be, I would say, a minimum, so it -- it -- and  
21 that would obviously depend. You would sort of  
22 take out some of those initial amounts and then  
23 you would have to do some further follow-up  
24 sampling in the field to make sure that you had  
25 gotten, you know, the things that you wanted

1 to -- to deal with.

2 You know, if you still found some  
3 higher areas of PAH's or the BTX compounds and  
4 so forth, you would just sort of take out a  
5 certain amount, work with that, come back, do  
6 some sampling, make sure that you had gotten  
7 enough of that spot out of there, but that would  
8 be like an initial projection.

9 AUDIENCE MEMBER: Is a good deal of  
10 this site filled with one, two, or three-ringed  
11 PAH's, or is a good deal of it filled with more  
12 than three or more?

13 MR. HART: It runs the spectrum. I  
14 would say with regards to the soils you tend to  
15 get into the -- the -- the heavier PAH  
16 compounds. With regards to the water you tend  
17 to have the lighter type of the PAH compounds,  
18 the one, two and three-ring types, whereas the  
19 soils tend to have more of the four, five and  
20 six-ring type compounds.

21 AUDIENCE MEMBER: I have another  
22 question. About how long does it take for the  
23 EPA to approve newer methods and new  
24 technologies to use on these sites?

25 MR. HART: Oh, gosh, well, at the

1 time -- well, to give you an idea of just like  
2 thermal desorption, you know, at the time of the  
3 initial record of decision thermal desorption  
4 might have been mentioned like in a -- a  
5 fleeting paragraph in the original feasibility  
6 study, kind of screened out at the time because  
7 it was a really new innovative emerging  
8 technology, whereas as I note in 1995, by then  
9 it was sort of accepted at our headquarters as  
10 being a presumptive remedy, something that you  
11 didn't even need to do a major feasibility to  
12 choose to select at a wood preservative or  
13 creosote type of site.

14 I -- I truthfully couldn't answer  
15 your question with regards to other -- other  
16 kinds of treatment technologies at other sites.  
17 Obviously, the agency has like an ongoing  
18 research program. In the case of thermal  
19 desorption, I know that basically it was about  
20 five years for that thing to -- to go along from  
21 like the highly emerging innovative type stage  
22 to something that was like readily accepted for  
23 this type of site. I couldn't really give you a  
24 comparison for some other technologies.

25 AUDIENCE MEMBER: I recently

1 graduated with a degree in toxicology from UW-SP  
2 where I've been exposed to some of the newer  
3 methods of remediation and I'm drawn  
4 particularly to one inexpensive, yet  
5 time-consuming method which is the -- the  
6 utilization of macrophyte organisms to help  
7 reduce the toxicity, and I'm speaking  
8 specifically of annelids. I think their use  
9 five, 10 years down the road could -- could  
10 provide solutions for soil remediation and all  
11 types of lower level toxicity contamination.

12 I'm not sure how that would work  
13 with PAH's of four rings or more, but as long as  
14 the toxicity levels are -- are held in certain  
15 concentration, annelids or worms can -- can --  
16 scientists can't figure out how the gullet of  
17 worms work in which they'll actually break down  
18 toxins into -- into its component parts and into  
19 something that's -- that's actually usable  
20 called castings.

21 I think -- Could you tell me whether  
22 the EPA is looking into such solutions? It's  
23 cheap, inexpensive, using the -- the energy  
24 provided by these organisms rather than man-made  
25 machines. I think there are other solutions out

1           there.

2                       MR. HART: Well, I -- I guess really  
3           what I would encourage you to do, if you have  
4           some -- some papers or something about this  
5           particular type of technology or approach,  
6           please send it to us. We'll try to add it like  
7           for the record for the site and so forth.

8                       I guess I couldn't really speak as  
9           to whether the agency as a whole is kind of  
10          taking a look at this particular technology. I  
11          mean I'm -- qualitatively speaking, I'm sure  
12          we'd be in favor of something that's simple and  
13          easy to do or something like that, but if you  
14          have some information that you might be able to  
15          send along to us, please do so.

16                      MS. PASTOR: Perhaps it would be  
17          something to make in the form of a public  
18          comment if you wanted to express your desire  
19          to -- for us to look into something like that.

20                      AUDIENCE MEMBER: So there's going  
21          to be another meeting?

22                      MS. PASTOR: No. As I explained  
23          earlier --

24                      AUDIENCE MEMBER: Just on a public  
25          comment record?



1 MS. PASTOR: If you wanted to send  
2 it to us between now and April 8th.

3 MR. HART: So that we have it like  
4 to add to our administrative record for the site  
5 because, you know, what we're supposed to do is  
6 base our decision on the information that we  
7 have in the record. So if you have something  
8 about that --

9 AUDIENCE MEMBER: Is the address on  
10 one of these forms that you distributed here?

11 MS. PASTOR: Yeah. Did you get one  
12 of these?

13 AUDIENCE MEMBER: Yes, I did.

14 MS. PASTOR: Inside there's a little  
15 stand-alone mailer and our address is all over  
16 the place, so you can send it to us anyway you'd  
17 like.

18 AUDIENCE MEMBER: Thank you.

19 AUDIENCE MEMBER: I have a number of  
20 questions.

21 MS. PASTOR: We have a lot of other  
22 people who want to ask questions. Maybe you  
23 could do a couple and we can come back to you.

24 AUDIENCE MEMBER: How -- After this  
25 particular type of treatment, what is the parts

1 per million?

2 MR. HART: Okay. I guess looking at  
3 say like at the removal efficiency, you know,  
4 the one -- the one excerpt that we were looking  
5 at was, you know, talking in terms of giving  
6 like a 99 percent plus removal efficiency, so I  
7 think if we -- we have probably like several  
8 spots on the site that are maybe like in the,  
9 you know, low to several hundred, say like 200,  
10 300, 400 or so parts per million of the PAH's.  
11 So if you took out say like about, what, 99  
12 percent of that, you'd be winding up, if you  
13 started say like the 2 or 300 level, you'd be  
14 getting down to like maybe like two or three  
15 parts per million left by the time that you were  
16 done if you could realize 99 percent removal  
17 efficiency.

18 AUDIENCE MEMBER: What's -- What's  
19 the parameter of the cover area, the capped area  
20 on our map? What will the capped area be? How  
21 large will it be?

22 MR. HART: Oh, like in terms of  
23 acres or so forth? I couldn't give you an exact  
24 number on that because, again, that might depend  
25 a little bit on, you know, how much, you know,

1 we have like these initial estimates of spots to  
2 be excavated, treated, and so forth, and then  
3 there would obviously be, for some lesser  
4 contaminated areas, there would be some other  
5 areas that would need to be consolidated,  
6 brought together. I could give you a rough  
7 guess it may be like two to three acres,  
8 something like that.

9 AUDIENCE MEMBER: Like a quarter of  
10 the site? Half the site?

11 MR. HART: Oh, no. Like I say, I  
12 think that probably the containment unit might  
13 be, like I say, somewhere on the order of two to  
14 three acres, but I'll tell you what, if the  
15 Kerr-McGee people might have any thoughts, I  
16 mean would that be too wild of a guess on that?

17 AUDIENCE MEMBER: What's the point  
18 of a cap on two acres?

19 MR. HART: That is -- What you --  
20 The purpose of the cap would be a couple of  
21 fold. One, the cap kind of acts as sort of like  
22 a boundary. You say -- What you're kind of  
23 saying is that for materials that are not  
24 brought under the cap you then, in essence, are  
25 saying that for that type of land usage that you

1 project, and right now it's residential. If we  
2 were to change it to -- to industrial, you're  
3 saying that basically a person who is like a  
4 Union Pacific Railroad worker and who would be  
5 conducting their normal activities at the site,  
6 that they would not be coming into materials  
7 more than three parts per million, so that stuff  
8 that would be greater than that would have been  
9 treated or put under the cap to eliminate the  
10 direct contact threat.

11 And also, the other purpose of the  
12 cap would be to help eliminate some further  
13 percolation or infiltration down through those  
14 treated materials to try to prevent it from  
15 getting into the groundwater table.

16 AUDIENCE MEMBER: But if it's only  
17 two acres, and I still haven't asked what you're  
18 doing about the groundwater that flows through  
19 there, is there a treatment system for the  
20 groundwater?

21 MR. HART: We have the design plans  
22 on that now, yes. And what the basic system on  
23 that, it's something called like a funnel and  
24 gate type of approach where basically the -- the  
25 soils at the site tend to be somewhat on the

1 finer side, and so what would be done would be  
2 to deliberately excavate some areas, put in some  
3 somewhat coarser materials so that the flow  
4 would go through them. And with regards to the  
5 groundwater, the PAH's in them tend to be on the  
6 lighter, the two and three-ring type compounds  
7 and so forth. So the idea would be at these  
8 areas where the flow is preferentially directed  
9 through, to add a combination of -- of nutrients  
10 and oxygen so forth to try to get some  
11 biological breakdown of those simpler types of  
12 compounds.

13 AUDIENCE MEMBER: What would the  
14 parts per million be in the groundwater once  
15 it's been filtered?

16 MR. HART: That I couldn't really  
17 say.

18 AUDIENCE MEMBER: There's no  
19 expectation or level?

20 MR. HART: Well, part of it is --

21 AUDIENCE MEMBER: 15 parts per  
22 million or 48?

23 MR. HART: At this time I really  
24 couldn't give you any quantitative number.

25 AUDIENCE MEMBER: There hasn't been

1 a standard set up for the groundwater, the level  
2 of PAH's in the groundwater?

3 MR. HART: Well, obviously, I mean  
4 to fully be restored, the goal is that they  
5 should eventually meet drinking water standards.  
6 That's the goal for the site for the  
7 groundwater.

8 AUDIENCE MEMBER: So there's no  
9 standard like there is for the cleanup. You're  
10 asking for 48 parts per million for the cleanup  
11 standard for the site, but there's no cleanup  
12 standard for the groundwater coming out of the  
13 site similar to what you're -- Do you understand  
14 what I'm saying?

15 MR. HART: Yeah, I believe I do.

16 AUDIENCE MEMBER: You're telling me  
17 there is no groundwater standard?

18 MR. HART: If there were -- if it  
19 were like a surface water type of a discharge,  
20 I'm sure that there would very readily be a -- a  
21 standard that could be derived for that. As far  
22 as like the influx of groundwater into river  
23 water, I couldn't really tell you on that.

24 MS. PASTOR: Gary may be able to  
25 chime in on something here.

1                   MR. EDELSTEIN: The first question  
2 was the size of the cap, and one of the things  
3 that hasn't really been brought out clearly so  
4 far tonight is that you've got two things going  
5 on at this site. The first is that some of the  
6 soil is going to be picked up -- I'm sorry. Two  
7 things are being proposed tonight. The first is  
8 that some of the soil would be picked up and run  
9 through this thermal desorption unit as a  
10 proposal where the soil would be cooked, as Russ  
11 was trying to explain like the analogy of an  
12 oven, and then the volatiles, including the  
13 PAH's and the compounds of concern and the BTX  
14 compounds, he described what those are, which  
15 really come from the carrier used for the  
16 creosote, which was fuel oil, so this is like a  
17 fuel oil spill like heating oil that you use in  
18 your home or fuel oil similar to diesel, and the  
19 heavier compounds, which is a creosote, which is  
20 like you see on a railroad tie, which is closer  
21 to coal tar, this material can be, at the right  
22 temperature, driven off the soil and then  
23 volatilized in the air stream that comes off of  
24 this thing through this tube, and then treated  
25 in this unit here either through some sort of an

1 absorption unit to take the heat out of it and  
2 then bring it out as a liquid, or be burned,  
3 e.g. incinerated.

4 The volatiles coming off of here  
5 would be incinerated. The soil would not. Make  
6 that clear. The soil would not be incinerated,  
7 but the volatiles coming off of it may if an  
8 afterburner unit is used. I wanted to clarify  
9 that.

10 Now, what's going to happen to the  
11 cooked soils when it comes out of here? That's  
12 the first part of this that's being proposed.  
13 That stuff Russ was talking about going to a  
14 disposal unit of about three acres in size, I  
15 think that may be right, but it would be small  
16 relative to the size of the site. This would be  
17 an engineered unit. They would dig a hole in  
18 the ground, Kerr-McGee would, or whoever carries  
19 this out, and then an engineered cap would be  
20 placed on top of it.

21 The idea would be that this stuff  
22 would be treated so that it wouldn't pose a  
23 threat to groundwater. If it's treated well  
24 enough, it won't. It will meet the soil  
25 standards for protection of the groundwater.



1           Then you don't need a liner. Russ was talking  
2           about if you need a liner for the less treated  
3           material, that's right. That's what the State  
4           standards require. The hazardous waste  
5           containment unit, right.

6                        So if this is treated well enough,  
7           you don't need a liner, but you need a pretty  
8           good cap on top of it so that infiltration  
9           doesn't become a problem. That's good enough  
10          for protection is what we're saying is what  
11          we're proposing here. That's the first part.

12                       The second part that really hasn't  
13          been talked about here is that there's a lot of  
14          soil on this site that exceeds State standards  
15          for direct contact under these revised standards  
16          that we're talking about. Now, we're talking  
17          about changing the standard here for cleanup of  
18          the soil from a residential exposure scenario,  
19          which means that you are assuming the soils have  
20          to be cleaned up to protect people in case  
21          someone comes in and builds houses on this  
22          property.

23                       What Russ is saying, and we agree,  
24          is that the likelihood of that occurring here is  
25          pretty low, and if you've got the proper land

1 use instruments in place, you get the land  
2 owners to agree through a legal instrument  
3 that's filed with the deed that says that that  
4 land use will never occur, this land use will  
5 occur, that's the kind of thing we're looking  
6 for that would say yeah, you can change that  
7 assumption from residential to, for the railroad  
8 property, industrial nonresidential. For the  
9 park land it would be a trespass scenario.

10 What does that give you? Well, you  
11 run through some calculations assuming a certain  
12 type of an exposure to a person who's on the  
13 land, and it gives you a number. If the soils  
14 exceed that number based on the testing that's  
15 been done, they will be covered with a cap.  
16 This is the second element that hasn't really  
17 been clearly described tonight.

18 What we're talking about essentially  
19 is two caps out here. One over this unit for  
20 this treated soil and another much, much larger  
21 soil and/or asphalt cap over the rest of the  
22 property. Many, many acres. I don't remember  
23 how many acres it is, but a good portion of the  
24 site. That's what we're talking about here  
25 tonight. And that soil cap and/or asphalt

1 that's out there, a good portion of the site has  
2 asphalt on it, would be what would prevent  
3 people from coming in contact with that  
4 material.

5 That's -- Under our State standards  
6 it's called a performance standard, but what it  
7 is is you put something in between it so nobody  
8 will get in contact with it. Well, what's the  
9 key there? The key is maintenance. Somebody  
10 raised a question about maintenance. Who's  
11 going to maintain that? And the answer is that  
12 there would have to be a clear-cut maintenance  
13 agreement put in the property deed that will  
14 guarantee that these caps would be maintained  
15 for as long as this material remains hazardous,  
16 and that's at this site many, many, many years  
17 into -- far into the future, decades, if not  
18 hundreds of years. Somebody's going to have to  
19 be responsible for maintaining these caps.  
20 That's the proposal that's on the table here  
21 tonight. I want to -- to answer -- I hope that  
22 answers your question.

23 AUDIENCE MEMBER: Thank you.

24 MR. EDELSTEIN: I don't know what  
25 the acreage is for the asphalt. Do you know

1 offhand?

2 MR. HART: Well, from what's down  
3 there now, Union Pacific property is 22, 23  
4 acres total and -- I mean I don't know. What  
5 would it be, maybe 50 percent of the --

6 MR. EDELSTEIN: I should mention,  
7 though, that what -- it's not clearly outlined  
8 in the proposed plan, we have comments on that,  
9 but what is being proposed here if you dissect  
10 it correctly is something that is consistent  
11 with what we are doing at hundreds of other  
12 nonSuperfund sites in Wisconsin under our fairly  
13 recently adopted State cleanup standards, which  
14 we didn't have in 1990 and now we have, and Russ  
15 had mentioned that, you know, when we reopened  
16 this thing, reopened the remedy, the idea is to  
17 look at these new standards that have come into  
18 place, and that's where these capping -- the  
19 caps that I talked about come from, is from  
20 these new standards.

21 MS. PASTOR: We had a couple other  
22 questions and we still want to do comments, so  
23 let's have you go next.

24 AUDIENCE MEMBER: Just quickly,  
25 you're looking to address the carcinogenic

1 PAH's predominantly? With that I heard you make  
2 mention of 3, 400 parts per million in terms of  
3 concentration levels in the soil media or  
4 impacted --

5 MR. HART: Probably some of the more  
6 concentrated soil spots I think would be at  
7 about that level, yes.

8 AUDIENCE MEMBER: Did I see  
9 correctly in the outline or the diagram that  
10 there were quote, unquote hotter areas?

11 MR. HART: Oh, well, by noting those  
12 hot spots, those are some of the areas that we  
13 believe are some of the higher concentration  
14 points on the site that would definitely need to  
15 undergo treatment, that we wouldn't want to  
16 contain those without treatment first.

17 AUDIENCE MEMBER: And that is what  
18 you've depicted as 3, 400 parts per million.

19 MR. HART: Right. Right.

20 AUDIENCE MEMBER: Okay.

21 MR. EDELSTEIN: There was another  
22 question that didn't get answered. She had a  
23 question about the groundwater standards. I'm  
24 sorry, I was going to answer that, too, that  
25 Russ didn't get to that that, in fact, yes, the

1 cleanup standards at the site in the current ROD  
2 and this revised groundwater remedy that was  
3 sent out last year, there was a fact sheet that  
4 was send out called an Explanation of  
5 Significant Differences that EPA revised the  
6 groundwater remedy.

7 The standards in the original 1990  
8 record of decision are still the same. Those  
9 are not proposed to be revised. There is a  
10 groundwater standard that has to be met at the  
11 site that comes out of this funnel and gate  
12 system and yes, that -- that standard is the  
13 State groundwater standards under Chapter NR140,  
14 and the preventive action limits for the  
15 compounds that we have in there for the BTX  
16 compounds and the PAH compounds that we have  
17 standards for, those are the groundwater  
18 remediation goals, and this funnel and gate  
19 system that is described in that document will  
20 have to meet those.

21 By the way, a question came up about  
22 whether the flux of contaminants going into the  
23 river from the groundwater would be different  
24 than these two alternatives that we're talking  
25 about tonight, and actually the answer is it

1 doesn't matter because the groundwater remedy  
2 that's in there actually takes care of that, and  
3 the soil things that we're talking about today,  
4 it doesn't matter which one you do because the  
5 groundwater remedy already has been designed for  
6 that. It's already coming in, and that design  
7 is going to actually have a wall that will  
8 prevent that groundwater from even going into  
9 the river regardless what you do with the soils.

10 So it's important to know that yes,  
11 there is a groundwater remedy that is going to  
12 be put in place and that the groundwater will be  
13 cleaned up to meet those State standards.

14 MR. WOIDA: What are some of the  
15 risks that are associated with the extraction  
16 process removing the soil from the ground,  
17 exposing the soil to the air or to erosion or  
18 other processes, or when you burn something in  
19 an incinerator, what kinds of fumes are coming  
20 out that might even though be small in volume  
21 have large odor, or if you have this funnel and  
22 gate system and you're injecting nutrients into  
23 the soil, what kind of outflow do you have,  
24 phosphates or nitrites or whatever else you're  
25 sticking down into the ground, into the adjacent

1 water system? What are some of the risks  
2 associated with the solutions?

3 MR. HART: Well, let's see, I guess  
4 as far as with the nutrients and the funnel and  
5 gate system, initially the funnel and gate  
6 system has like a series of three tears to it  
7 working from the western to the eastern side of  
8 the site. Initially, what would be happening  
9 would be some of the experimentation would be  
10 going more on towards like the western gate  
11 area, some inoculation there, a little bit of  
12 trial and error on that so that you can start to  
13 get the optimum dosage rates of what you want  
14 for that thing.

15 I certainly agree with your point.  
16 If you -- If you did not -- If you just went in  
17 there willy-nilly and said well, let's add some  
18 more phosphorous or nitrogen, you could really  
19 make a mess of things, but I'm sure their idea  
20 would be to start off slowly, scale up, see what  
21 it would need to be as far as, you know, the  
22 dosage rate to get some of your optimal removal  
23 efficiency. So I -- hopefully that would answer  
24 your question.

25 MR. WOIDA: The discharge from that,



1 does that also have to meet the drinking water  
2 standard?

3 MR. EDELSTEIN: Yeah. The way the  
4 funnel and gate system works is it's a -- the  
5 man talked about worms, something that's simple  
6 to do. Actually, the funnel and gate system is  
7 akin to that. What it does is it funnels the  
8 groundwater to a treatment zone, and the main  
9 thing that's added that -- that causes the  
10 compounds to breakdown is actually just air.  
11 And what that does is it -- it oxygenates the  
12 groundwater and the chemical processes that --  
13 it allows an electron acceptor to be added, but  
14 what happens is it promotes the growth of  
15 bacteria that will actually eat or breakdown the  
16 compounds that you're trying to target into more  
17 simple forms that could then be eaten by other  
18 bacteria until you get clean groundwater.

19 That process is called in situ  
20 bioremediation, which is what's going on inside  
21 those gates using indigenous bacteria.  
22 Sometimes those bacteria need to be stimulated  
23 with nutrients. Our experience in Wisconsin,  
24 especially with these types of compounds and  
25 with cleaning up petroleum contamination sites

1           which we have thousands of, is that generally  
2           nutrient addition in any significant amount is  
3           normally not necessary because the soils already  
4           contain the necessary phosphorous and nitrogen,  
5           but if you do have to add it, we're going to be  
6           sure that it's done in such a way that it  
7           doesn't cause an exceedance of our standards for  
8           phosphorus or for nitrogen.

9                        Phosphorus usually isn't a problem  
10           because it ties up in the soil anyhow and you  
11           might get some nitrates, and that would be  
12           controlled so that we would not have exceedance  
13           of the standards for the nitrates. And as far  
14           as the incinerator, you want to say something  
15           about the soil treatment unit, there would be --  
16           if there is an afterburner, that would be  
17           regulated as an incinerator, and the compounds  
18           that we're burning here in the -- in the air  
19           stream that would be driven off the soils would  
20           be the type that -- that you would not get the  
21           formation of things like dioxin or chlorinated  
22           organics that would pose a real risk because  
23           we're not burning chlorinateds.

24                       MR. HART: We would deliberately  
25           stay away from recommending a thermal desorption

1 unit if there were things like the  
2 penochlorophenol. And also, one other  
3 operational thing to be aware of in using this  
4 unit, probably the biggest day-to-day thing is  
5 to make sure that once the materials come out  
6 after they are treated, obviously they are going  
7 to be quite dry. They're certainly not going to  
8 have much in the way of soil moisture. The  
9 biggest day-to-day thing will be that those  
10 materials need to be wetted down, watered down,  
11 so that there's not like a dust problem posed.  
12 That's going to be the biggest day-to-day thing  
13 with regards to the operation of the unit.

14 MR. EDELSTEIN: I don't think the  
15 emissions from this would have any discernible  
16 odor, or be very slight. There might be an odor  
17 associated with the actual excavation of  
18 anaerobic, in other words, septic PAH material  
19 that's been sitting in the groundwater for 50  
20 years that's been going -- undergoing anaerobic  
21 degradation, and there probably would be some  
22 musty odor associated with that. And we really  
23 haven't had much of a problem with that at other  
24 sites where we've had fuel oil spills of similar  
25 material. You do get an odor, but you'd have to

1 stand pretty close to the excavation to get a  
2 whiff of it. If it does become a problem,  
3 they'll have to deal with it.

4 MR. HART: Quite so. We don't think  
5 that the organic strengths are going to be like  
6 really overpowering. I mean this isn't a  
7 pharmaceutical plant or a plant with dairy waste  
8 or really strong organic things like that. So  
9 we are hopeful that odors are not going to be a  
10 problem, but obviously, if anything were to crop  
11 up it would have to be handled.

12 MS. PASTOR: Couple more. Then  
13 we'll try to do comments.

14 AUDIENCE MEMBER: How far downstream  
15 do you believe the sediments are in excess of 15  
16 parts per million?

17 MR. HART: I think looking at that,  
18 actually, I was looking -- we started to receive  
19 a few comments in, and one gentleman had a  
20 comment sort of along those lines. Looking at  
21 15 part per million standard and looking back at  
22 the original remedial investigation, which was a  
23 major information base for the original record  
24 of decision, I noted a couple of points down in  
25 Segment 5, which is near the Hampton Avenue

1 area, and there were a couple of points there  
2 that were over 15 parts per million.

3 So the way I would look at it, it  
4 would probably be from, you know, the Brown Deer  
5 Road down to the confluence with the Menomonee  
6 using the 15 parts per million standard.

7 AUDIENCE MEMBER: I was wondering,  
8 you mentioned the extraction wells that have  
9 been drilled in the past.

10 MR. HART: Yes.

11 AUDIENCE MEMBER: How deep were  
12 those?

13 MR. HART: Seven, eight feet..  
14 Something like that. I see some nodding of  
15 heads from the Kerr-McGee folks, so I think  
16 that's about right.

17 AUDIENCE MEMBER: You guys are from  
18 Kerr-McGee? Could you identify yourselves?

19 KERR-McGEE: I'm Keith Watson from  
20 Kerr-McGee, project manager for the Milwaukee  
21 project. This is Kurt Stimson and Jerry Baker  
22 out of Oklahoma City.

23 AUDIENCE MEMBER: Mr. Hart made a  
24 comment about that soil being treated, and the  
25 proper thermal desorption unit can certainly

1 have rehydration occurring back in the system  
2 itself and not pose particular problems, so --  
3 just a comment, if you will.

4 MR. HART: Very good.

5 AUDIENCE MEMBER: Of that 10,000  
6 gallons that were pumped in that three year  
7 period, what percentage was creosote, what  
8 percentage was other contaminants, and what  
9 percentage of water, or was that all three of  
10 those?

11 MR. HART: I think it was a  
12 combination of oily wastewater and creosote. I  
13 don't exactly have the breakdown on that.  
14 Kerr-McGee folks may.

15 AUDIENCE MEMBER: I don't have a  
16 number.

17 MS. PASTOR: Any other questions,  
18 because we'd like to move into the comment  
19 portion of the meeting? Okay. So if you  
20 remember from the beginning, we were talking  
21 about the comments that we'd like to hear from  
22 you at this time. This would be in a statement  
23 form, so we've asked -- I think we've answered  
24 all your questions that you have asked, and now  
25 if you would like to give is your opinion, your

1 thoughts, your criticisms, your praise, we'd be  
2 happy to hear that. What we want to know is  
3 what you think of Alternative 1 and Alternative  
4 2, sticking with the old record of decision, or  
5 going with what we're proposing, Alternative 2,  
6 and the -- this is the time where if you'd like  
7 to make a comment, the court reporter would  
8 appreciate hearing your name, having it spelled.  
9 If you're with a particular organization or  
10 governmental body or just yourself, that's okay,  
11 too, and then make your comment and that would  
12 be, as Russ explained a little while ago,  
13 answered in a document we call a Responsiveness  
14 Summary, and that's attached to the ROD  
15 amendment documentation, and all that's made  
16 available in the Mill Road Library with all of  
17 our other documents.

18 So if you would like to make a  
19 verbal comment, this is the time to do it. And  
20 who would like to go first?

21 MR. MCGUIGAN: Jim McGuigan. I'm  
22 County Supervisor, Milwaukee County.  
23 M-C-G-U-I-G-A-N. You commented about  
24 recreational use of this site in the park and  
25 open space plan which, by the way, is from the

1 Sewer Pact that was passed five years ago, and  
2 while there may have been approval from -- from  
3 the supervisor at the time, we have a new man in  
4 town who doesn't approve.

5 Also, I wanted to make a correction.  
6 The consent decree between the County,  
7 Moss-American, and Kerr-McGee says that -- says  
8 that the parks will be off limits indefinitely,  
9 so we're not looking at any recreational use for  
10 this plan or for this area.

11 MS. PASTOR: Okay. Thank you.

12 MR. MILLIR: My name is Scott  
13 Millir. That's with an I. I just live around  
14 here and I agree with using the elevated cleanup  
15 bowls for the different land uses, and the  
16 thermal desorption sounds like the better plan  
17 of the two.

18 MS. PASTOR: Okay. Thank you for  
19 that comment.

20 MR. MICHAUD: Dave Michaud, spelled  
21 M-I-C-H-A-U-D, as in David, a neighbor. I'd  
22 like to go on record similar to the gentleman  
23 just prior to me.

24 MS. PASTOR: Okay. Thank you for  
25 that comment.



1 MR. NARDELLI: Alderman Tom  
2 Nardelli. I represent this area and I support  
3 the absorption method. It looks like it might  
4 be a better one than that which was previously  
5 discussed.

6 MS. PASTOR: Anyone else?

7 MR. THEEL: Cliff Theel. I was  
8 going to say that perhaps the use of some  
9 presumptive techniques could -- could help  
10 shorten the time that it takes to approve of  
11 such methods, along with the -- the recommended  
12 desorption technique, which seems far superior  
13 than the bioslurry.

14 MR. BRENGOSZ: I would endorse that  
15 alternative number 2 ROD. My name is Jim  
16 Brengosz. I live along the Little Menomonee  
17 River.

18 MS. PASTOR: Could you spell that,  
19 please?

20 MR. BRENGOSZ: B-R-E-N-G-O-S-Z.

21 MR. BRENGOSZ: And I'd like to just  
22 comment, too, Steve Brengosz, I live down the  
23 street from him, that I think if the lower cost  
24 maybe we could treat more soil or treat the soil  
25 better for the same amount of money that's

1 budgeted, so to speak, for this project.

2 MS. PASTOR: Okay. Thank you.

3 Anyone else?

4 MS. ROSE: I would like to -- My  
5 name is Cathy Rose, R-O-S-E, conditionally say  
6 that the TDU sounds like a better method, but I  
7 have some question about raising from 3.1 parts  
8 per million to 47 parts per million as  
9 acceptable. With the deed restrictions, deed  
10 restrictions can also be revoked, so 20 years  
11 down the road once, you know, this is forgotten,  
12 deed restrictions can be revoked, so I have some  
13 hesitations about that.

14 MS. PASTOR: Okay. Thank you.

15 Anyone else?

16 MR. MCGUIGAN: I'll just add a  
17 clarification. Kerr-McGee is on the hook, I  
18 believe, for at least 29 million, so to one of  
19 the questions that -- or one of the comments  
20 that was indicated before, it's not -- it's not  
21 taxpayer dollars. So I think -- I think that if  
22 Kerr-McGee screwed it up, they should clean it  
23 up.

24 MS. PASTOR: Thank you for that  
25 comment.

1                   MR. WOIDA: My name is John Woida,  
2                   W-O-I-D-A, and I think that the -- the  
3                   recommendation to change the proposal looks very  
4                   feasible and less money, less time, greater  
5                   cleanup, and I think that it's very good that we  
6                   have this many people from the community coming  
7                   that were able to get people interested and  
8                   representatives from all the parties that have a  
9                   stake in resolving this issue.

10                   However, I think that it's still  
11                   important that we keep our focus on cleaning up  
12                   the sediments in the groundwater which remain  
13                   probably the most threatening of -- of the  
14                   situations to the residents in the community  
15                   five miles up and downstream, and particularly  
16                   since students here at Vincent High School use  
17                   the river as a resource in education, we would  
18                   like to feel safe in -- in using that and hope  
19                   that this can be remediated very soon.

20                   MS. PASTOR: Okay. Anyone else?

21                   MS. DAHLKE: I think the absorption  
22                   does sound good. Lori Dahlke, D-A-H-L-K-E.

23                   MS. PASTOR: Okay. Thank you.

24                   MR. EDELSTEIN: Gary Edelstein,  
25                   E-D-E-L-S as in Sam, T as in Tom, E-I-N,

1 Wisconsin Department of Natural Resources.  
2 There is a summary of our comments I put out on  
3 the front table. I've got some other copies for  
4 those of you that want to see our letter to Sue  
5 and Russ. I've got some copies of our formal  
6 comments. This is just a summary. For those  
7 who want to see the gory technical details I  
8 have some copies here.

9 We have, for the time being, if you  
10 read closely that proposed plan, withheld our  
11 formal concurrence with this plan, but I want to  
12 emphasize that we generally do agree with the  
13 main thrust of the plan, the two main thrusts.  
14 One, to change the land use exposure assumptions  
15 to those that are being proposed, and the other  
16 to substitute low temperature thermal desorption  
17 for slurry bio treatment.

18 The reason why we withheld our --  
19 our concurrence for the time being was that we  
20 had some problems with -- with the proposed plan  
21 document, with its accuracy and how it set  
22 things out. I think some of that became clear  
23 as the questions came out and I tried to  
24 describe some of the things that were on the  
25 table that weren't clearly described. The -- In

1           general, we felt that the document was confusing  
2           and somewhat incomplete.

3                         One of the big omissions, and Russ  
4           did talk about this, but it wasn't in the  
5           proposed plan, was that the soils at the site  
6           are going to have to meet a standard that will  
7           be protective of the groundwater, and that will  
8           have to be done either with -- by picking them  
9           up and treating them or through some method to  
10          make sure that the soils that are left behind do  
11          not cause a problem, and that has not really  
12          been discussed clearly in this document.

13                        The -- How the cleanup standards for  
14          direct contact really wasn't described very  
15          well. I think I tried to describe that before.  
16          Performance standard cap, e.g., simple soil  
17          layer a few inches and some asphalt, but it  
18          really wasn't discussed in there where it was,  
19          how much, and how that would be done. It wasn't  
20          really discussed in any kind of detail about  
21          these things we talked about called deed  
22          restrictions and maintenance agreements. Real  
23          important if you want those to work in the  
24          long-term. Wasn't talked about very much in  
25          there.

1                   One of the things that was talked  
2                   about was this redispasal unit for the treated  
3                   soil, the hole that would be dig, and that the  
4                   low temperature thermally desorbed soil would be  
5                   placed and there would be a cap in that.

6                   There's a little footnote in the  
7                   plan that talks about using what's called the  
8                   Superfund waiver or CERCLA waiver for doing  
9                   that, and our feeling is that that mechanism is  
10                  not appropriate for allowing that unit to be  
11                  designed without a liner. If the soil's treated  
12                  right, we don't have a problem with the design,  
13                  but that particular provision of the law is not  
14                  appropriate for allowing that type of unit.  
15                  There's some other ways of doing that that would  
16                  be better. It's a legal point, but that was  
17                  not -- we did not feel that that proposal had  
18                  merit.

19                  Again, if you'd like to see a copy  
20                  of our detailed comments I did bring, I believe,  
21                  10 or 15 copies of my letter with me, stop by  
22                  and I'll give you one. If I run out, I can  
23                  make -- give me your name and address and I can  
24                  send it to you.

25                  MS. PASTOR: Okay. Well, thank you.


1 This is a good turnout. Thanks for putting up  
2 with us on this crummy, windy, rainy, nasty  
3 night, and if you'd like to chat with us for a  
4 few minutes I don't think we're going to be  
5 kicked out of this room for a little while and  
6 do check out the -- the Little Menomonee River  
7 virtual tour if you get a chance.

8 (At 8:55 p.m. the hearing ended.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF WISCONSIN )  
2 ) ss:  
3 MILWAUKEE COUNTY )  
4

5 I, KIM M. PETERSON, CM, RPR, a Court  
6 Reporter with the firm of Halma-Jilek Reporting, Inc.,  
7 25 East Michigan Street, Milwaukee, Wisconsin, do  
8 hereby certify that I reported the foregoing  
9 proceedings taken on March 18, 1998, and that the same  
10 is true and correct in accordance with my original  
11 machine shorthand notes taken at said time and place.



12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Dated this 25th day of March, 1998,  
Milwaukee, Wisconsin