

1 UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

2 REGION 5

3 230 SOUTH DEARBORN STREET

4 CHICAGO, ILLINOIS 60604

5 -----
6 WAUSAU WELLFIELD SUPERFUND SITE,

7 PUBLIC MEETING

8 WAUSAU CITY HALL

9 407 GRANT STREET

10 WAUSAU, WISCONSIN

11 OCTOBER 17, 1988

12 7:00 p.m.

13 -----
14 APPEARANCES:

15 Georgette Nelms, U.S. EPA, Moderator

16 Michelle DeBrock-Owens, WDNR, Project Manager

17 Ken Quinn, Hydrogeologist, Warzyn Engineering

18 Christine Diebels, WDNR

19 Margaret Guerriero U.S. EPA, Project Manager

20 Kevin Adler

21 Felipe Gomez, U.S. EPA Attorney

22 NINA BOSTWICK, RPR, CM

23 609 Scott Street

24 Wausau, WI 54401

25 (715) 842-2118

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Georgette Nelms: Good evening ladies and gentlemen. My name is Georgette Nelms and I'm the Community Relations Coordinator for the United States Environmental Protection Agency out of Region Five in Chicago and I will be your moderator for this evening. I would like to thank each and every one of you for coming out to participate in this public hearing this evening and I would like to acknowledge and thank Mayor John Robinson and the members of the council for allowing us to give them a briefing of this meeting earlier today. I would also like to acknowledge the other local dignitaries who are in our audience today. There is a representative here from Congressman, where is the gentleman?

Dave GERhardt: Right here.

Georgette Nelms: Yes. Could you tell me your name again? I'm sorry, I didn't get it?

A. My name is Don Gerhardt, I'm from Congressman Dave Obey's office.

Georgette Nelms: Okay. We had a meeting in Wausau last year at the beginning, a RI/FS investigation into the nature and the

1 extent of contamination at the site. The RI is
2 finished and we are into the feasibility study
3 at this point. The purpose for this public
4 hearing is to solicit from you, the community
5 and the public, public comment on a phased plan
6 of action to be undertaken during the
7 feasibility study. I would like to take this
8 time to introduce members of our panel to you at
9 this time. I have Michelle DeBrock from
10 Wisconsin Department of, I'm sorry, Michelle
11 DeBrock-Owen, from Wisconsin's Department of
12 Natural Resources, she is sitting to my left. I
13 have Ken Quinn, and he is with Warzyn
14 Engineering, Incorporated. Where is Ken? And
15 Ken is to my right. Margaret Guerriero is
16 sitting right behind me. She is from the
17 USEPA. And you will be hearing from each of
18 them later on in the program. Also we have with
19 us as members of our team, Christine Diebels.

20 Christine Diebels: Diebels (Deebels).

21 Georgette Nelms: Diebels, from the
22 Wisconsin Department of Natural Resources, we
23 have Dennis Iverson and he's with Warzyn
24 Engineering Company, and we have Felipe Gomez,
25 who is from the Office of Regional Counsel,

1 USEPA, Kevin Adler, he's the project manager and
2 he's with USEPA. And although they will not be
3 making presentations to you, they will be
4 available to you during the question and answer
5 period. I also would like to advise you that
6 this meeting is being recorded twice. We have a
7 court reporter, Nina Bostwick. She will be
8 recording this meeting and we also have a member
9 of the Mayor's staff who is also recording the
10 minutes, this meeting.

11 I'd like to talk a little bit about
12 the format of the meeting, and I think it's
13 important, I think I passed out some agendas and
14 if you don't have a copy of one, let me just
15 briefly talk a little bit about how the meeting
16 is set up. And in terms of expediency, we would
17 like to try to follow as closely as possible to
18 the setting up of this agenda. We will have
19 three presentations. And after all three
20 presenters have made their presentation, we will
21 at that point entertain questions. So again, we
22 will have three presentations after which the
23 panel and other members of our team will
24 entertain questions from you.

25 At the conclusion of the question and

1 answer period, we will open the, open the
2 hearing up for public, for public comment.
3 Okay. I'll talk a little bit more about public
4 comment period and the question answer period as
5 we move along. Just to do a brief review of the
6 Superfund circular law, I brought with me a
7 Superfund chart that talks about the process
8 that we go through in terms of Superfund
9 projects. The Superfund law as you all know was
10 passed in 1980. It was funded at one point six
11 (1.6) billion dollars. The Superfund
12 Reauthorization Act, which is commonly called
13 SRA was passed in 1986 and funded at eight point
14 five (8.5) billion dollars. These acts were
15 passed and reauthorized for the express purpose
16 to establish a program to identify sites from
17 which releases of human substances into the
18 environment might occur or might have occurred.
19 So that's the reason why these acts were enacted
20 by Congress. A release is that what affect
21 human health and the environment, and/or the
22 environment. Okay. Let's look a little bit at
23 the chart, because this chart is going to tell
24 us where we are in this particular case at the
25 Wausau well field. The site was identified and

1 that is the first step that we take, an
2 identification of the site. Usually it's
3 identified by the State, in this case it was
4 identified by the State, Wisconsin state. There
5 is an assessment made of the site and if
6 warranted, and in this case it was warranted,
7 the site is then placed on the NPL list, the
8 National Priorities List. After it is placed on
9 the National Priorities List, a Remedial
10 Investigation and feasibility study is
11 undertaken. In this particular case, the
12 feasibility, the Remedial Investigation has been
13 completed at this point and we are in process,
14 in the progress of completing a feasibility
15 study. Okay. And after, after going through
16 steps one, two, three and four, we move into
17 step five and we're not there yet in this
18 process.

19 The purpose of this meeting though is
20 to talk about what needs to be done before we
21 can conclude the feasibility study. And that is
22 the phase action plan at this point. What I
23 want to do now is to introduce to you our first
24 speaker and we'll move on with our three
25 presentations. The first speaker is Michelle

1 DeBrock-Owen, and she, what she is going to do
2 is give you history of this site and the State's
3 involvement. I'd like to add that Michelle has
4 been with this site since it became a site, so
5 she'll give us some background on the site at
6 this time.

7 Michelle DeBrock-Owens: I won't take
8 up a lot of time. I just have a little bit of a
9 brief history here. Volatile organic compounds
10 or VOC's were first discovered in city well
11 number four in 1975. The concentrations were
12 not considered a health risk at that time.
13 Higher levels of VOC's were then found in 1982.
14 Analysis show that city wells three, four and
15 six were contaminated. First the city blended
16 the water to dilute the contaminant
17 concentration and to meet the city's water
18 demand. The city then with the aid from the DNR
19 tried to mitigate the problem and to locate the
20 source. These attempts were unsuccessful. In
21 1983 the city of Wausau was awarded a federal
22 grant by EPA to design and install an air
23 stripper to provide sufficient water and
24 acceptable quality to the city's residents. In
25 May, 1984, the USEPA installed a granular

1 activated carbon, or GAC unit, as a treatment
2 system on city well six as an interim measure.
3 This system was then removed in 1984 because in
4 the summer and the fall of 1984 two air
5 strippers were installed, one from the grant,
6 one paid for by the grant, the federal grant
7 that was awarded in 1983, and the second one was
8 bought by the city of Wausau. The Wausau city
9 well field was then placed on Superfund's
10 National Priority List. This site is an EPA
11 funded site. EPA and its contractor, Warzyn
12 Engineering, began work on this site in the fall
13 of 1987. That's a little bit about the brief
14 history of the contamination in the city of
15 Wausau.

16 The State's involvement with the
17 Superfund process is determined by what is
18 called the cooperative agreement that the State
19 has with the United States Environmental
20 Protection Agency. This cooperative agreement
21 lists tasks that the State performs, the State
22 performs these tasks, Superfund then operates in
23 the State of Wisconsin. A couple of these tasks
24 are oversight of all field investigations,
25 reading and commenting on all reports that are

1 produced from these investigations, and then
2 aiding in community relation activities, such as
3 tonight. And that's all I have, Georgette.
4 Thank you.

5 Georgette Nelms: Thanks, Michelle.
6 Next we're going to hear from Ken Quinn. Ken is
7 a member of the Warzyn Engineering,
8 Incorporated, and is the actual person who is
9 performing the study at the site. What Ken is
10 going to do at this point is to talk about the
11 findings from the Remedial Investigation. Are
12 you there, Ken?

13 Ken Quinn: I'm going to go through
14 real briefly the results of the Remedial
15 Investigation that we've completed so far. Just
16 to orient everyone here, can everyone see that?
17 The site consists of the two city wells on the
18 east side of the river, city well three and city
19 well four, and city well six, which is located
20 on the west side of the river. These three
21 wells were found to be contaminated with
22 trichlorethylene, or perchlorethylene
23 generically referred to as volatile organic
24 compounds or VOC's. There was a number of
25 studies done before the USEPA initiated their

1 remedial investigation. The city started
2 investigating the problem shortly after it was
3 identified. The State of Wisconsin had a
4 contractor do some investigating trying to find
5 the source of contaminants. One, or two of the
6 industries in the area did some investigations
7 on their own facilities. USEPA started with a
8 real preliminary investigation and so when we
9 started our investigation last fall, we had
10 quite a bit of information to start with.

11 Our objectives in conducting the
12 Remedial Investigation were to identify the
13 probable sources of contamination identified at
14 these three wells and to collect enough
15 information to determine the characteristics of
16 those sources, and the extent of contamination
17 within the aquifer. We started our
18 investigation by talking to a number of the
19 industries within the general vicinity of the
20 contaminated wells trying to identify what the
21 possible sources of contamination were. We
22 carried that investigation into doing a
23 screening of individual sites, trying to
24 determine whether there were sources of
25 contamination in the general vicinity of the

1 wells and based on that investigation, we then
2 started drilling wells and sampling water
3 quality and soils to identify or to collect
4 samples to actually determine whether VOC's were
5 present on an individual site or in the ground
6 water at that location. Through our
7 investigation we and previous investigators
8 determined the source of the ground water to the
9 municipal wells came from a sand and gravel
10 deposit within the Wisconsin River valley so we
11 had a better ac, it was not an aquifer, it was
12 the pre-cambrian digging with the metamorphic
13 rocks and within this area here, you had a sand
14 and gravel deposit and the municipal wells, for
15 instance the city well three right here, was
16 drawing water from the sand and gravel deposits,
17 the ground water flows from the highlands in
18 the, around the Wisconsin River, and from the
19 Wisconsin River itself towards the wells that
20 are pumping within the sand and gravel.

21 And to jump right to the main
22 conclusions of the Remedial Investigation, we
23 identified essentially four different source
24 areas of, probable source areas of contaminants
25 in the area. There were two sources of VOC's to

1 the soils and ground water located in the
2 vicinity of Wausau Chemical on the east side of
3 the river. They correlated with known spills
4 that were reported to DNR on that facility.
5 There was a probable source of contamination in
6 the vicinity of an old city land fill located on
7 the west side of the river and there was also
8 some contamination attributed to an area where
9 one of the city wells had been discharging,
10 being pumped to waste and that water that was
11 being pumped to waste went into a tributary to
12 the Wisconsin River. That well was being pumped
13 to waste to protect the municipal wells that are
14 located to the north of that well, city well
15 six. So that city well six was pumping and
16 protecting city well seven and city well nine.

17 As you can see from these contour
18 maps, the source on the east side of the river,
19 two sources on the east side of the river,
20 probably affected city well four, which is
21 located right here and city well three which is
22 located here. The source from Bos Creek was
23 relatively shallow source of contamination and
24 the contamination stayed fairly shallow in the
25 aquifer and probably moved to city well six

1 located here. This probable cause area right
2 here was sitting right on the divide between
3 moving to city well six and moving to city well
4 three, so that the contaminant plume went both
5 to the north toward city well six and under the
6 river to city well three. And in cross section
7 through the north leg of this plume, we're
8 looking in cross section through that area, the
9 contaminant plume which originated in the
10 vicinity of an old landfill moved down through
11 the aquifer, then moved horizontally and ended
12 up in the city well six. The shallower plume
13 here is associated with the recharge that came
14 in from Bos Creek, moved through the upper part
15 of the aquifer, and appears to have moved into
16 city well six also. So it was kind of
17 recirculating. Pumping city well six to waste
18 going into Bos Creek, the tributary to the
19 Wisconsin River, created a divide between flow
20 to the Wisconsin River and flow to city well
21 six, and what appears to have happened is that
22 the plume is actually separated because of
23 recharge coming in in the middle of the plume,
24 and that can be seen in this plan view also
25 where there's higher concentrations both north

1 of Bos Creek entering into city well six and
2 south of Bos Creek back towards the, the
3 original source area. So at this point city
4 well six was then going to be used, transferred
5 across the river to the water treatment plant
6 where it was going to be treated and this
7 discharge into Bos Creek was going to
8 discontinued discontinue so at that point was
9 when it was decided to pursue a, an interim
10 remedial action to take advantage of the fact
11 that the plume had been broken and there was
12 some cleaning up occurring and one of the
13 objectives of this remedial action was to keep
14 the contamination that was back at the source
15 back in this area, and to prevent it from moving
16 north to city well six. So with that, we'll
17 just go onto Margaret's portion of the
18 presentation.

19 Georgette Nelms: I'd like to
20 introduce Margaret Guerriero. I can never get
21 it, pronounce the name correctly and that's
22 okay. But I want to say a little bit about
23 Margaret. Margaret is with the USEPA, she is
24 what we call the project manager and it's been
25 her task to make sure that this project goes

1 according to the regulations as established by
2 federal guidelines. And let me give you
3 Margaret now.

4 Margaret Guerriero: Okay. First of
5 all before I start, I want to refer all of you
6 to the fact sheet that was located on the chairs
7 when you came in. In that fact sheet, it goes
8 through some of our objectives for this interim
9 remedial action that we're taking or we're
10 proposing here, and also discusses in de--, a
11 little more detail what the alternatives that we
12 looked at, the criteria that we looked at, and
13 also what our preferred remedy is. As Georgette
14 pointed out, this is an interim remedy that
15 we're proposing, meaning that our final remedy
16 for the entire site is not being addressed right
17 now. We are addressing the plume that, let's
18 see if I can.

19 Person in crowd: Could you speak into
20 the microphone, please.

21 Margaret Guerriero: Sure, I'm sorry.
22 What we are addressing in this interim response
23 action is this plume on the west side of the
24 river moving towards city well six, and as Ken
25 pointed out, the reason this opportunity has

1 arisen to address this plume while we are still
2 ongoing with our study, before we have
3 determined what a final remedy will be is that
4 conditions have changed such that well six is
5 now, instead of being pumped away, it is now
6 being pumped to one of the air strippers for
7 treatment prior to distribution to the city
8 supply. And Joe, is it on line at this point?

9 Joe: Yes, it is.

10 Margaret Guerriero: What our
11 objectives for this interim response are are to
12 provide protection to that city well six now
13 that it's being used as a supply well and also
14 now that it is no longer discharging to waste
15 and creating a divide between contamination and
16 higher concentration of contamination in the
17 plume. I want to point out before I go into it
18 the alternatives that we looked at are, that EPA
19 is required by law to develop and evaluate
20 alternatives when we are proposing to do a
21 response action at a Superfund, a remedial
22 response action at the Superfund site.

23 The alternatives that we looked at,
24 and these are also laid out in the fact sheet
25 are these. The first alternative, no action is

1 essentially what it says. We would not take any
2 action at this point at the site. This
3 alternative as required by law, it's required by
4 law that we evaluate this alternative and it
5 gives us a basis for determining whether or not
6 an action is necessary at the site at this
7 time. Alternative number two is the placement
8 of an extraction well north of Bos Creek,
9 between the city well six and Bos Creek. I'll
10 get the slide to show the location of that.
11 Okay. That would be this location here. This
12 is Bos Creek, city well six is located right
13 here. So the alternative number two proposes an
14 extraction well there, and this extraction well
15 entails installation of a high capacity well to
16 extract ground water, treatment of the ground
17 water, removal of volatile organic compounds,
18 VOC's and then discharge of that treated water
19 to the Wisconsin River. Okay. This, this
20 alternative would remove contaminants from the
21 middle of the plume before reaching alternative,
22 or before reaching city well six. And this
23 alternative is estimated to cost about \$432,000
24 for the initial construction cost and then the
25 first year of operation and maintenance is

1 estimated at about \$105,000 with cost of about
2 \$80,000 in subsequent years for operation and
3 maintenance. Okay. Alternative number three is
4 an extraction well located south of Bos Creek
5 and it's essentially the same action, entails
6 the same action, which is extraction of ground
7 water treatment and discharge to the Wisconsin
8 River. The location of that well is here and
9 it's located east of the easternmost building on
10 the Marathon Electric property. Okay. That,
11 this extraction well is expected to extract
12 contaminants from the beginning or the
13 southernmost part of the plume as it, as the
14 contaminants are released to the ground water
15 from the source area. Okay. It also will cost
16 about \$422,000 with similar operation and
17 maintenance cost as alternative number two.
18 Okay. Alternative number four is essentially a
19 combination of alternatives two and three. And
20 that would be the installation of two wells, one
21 north and one south of Bos Creek, one located in
22 the center of the plume and one located at the
23 beginning of the plume and they would extract,
24 treat and discharge the ground water. Okay.
25 What I failed to point out about the southern

1 extraction well is that it would also serve to
2 control migration of this contaminants across
3 the Wisconsin River which is what, it would
4 serve to control the migration of these
5 contaminants under the Wisconsin River. Okay.

6 Now the, the way that we evaluate what
7 the best alternative at the site is is we use
8 nine criteria that are laid out in the fact
9 sheet that you have. And these criteria help us
10 to determine what the best alternative, based on
11 those factors are and if you are interested in
12 the detail on how we evaluated each alternative
13 based on these nine criteria, I would direct you
14 to the feasibility study, which is available in
15 the public repositories, which the addresses and
16 locations are also in your fact sheet. Okay.
17 Based on the nine criteria that we use to
18 evaluate the alternatives, EPA's preferred
19 alternative for our proposed plan is alternative
20 number three, the southern extraction well with
21 a provision to implement alternative number four
22 if it becomes necessary. Alternative number
23 three includes extraction of the water,
24 treatment to remove volatile organics, discharge
25 to the Wisconsin River. And the cost as they're

1 laid out.

2 Now the reasons that we feel that
3 alternative three is the best alternative for
4 this interim action is because alternative three
5 provides the best protection against future
6 migration from this source area north to city
7 well six. It's also expected based on the zone
8 of influence that it will create from pumping
9 and changing the ground water levels that it
10 will create to pull back some of the
11 contaminants that have already moved into the
12 plume from the source area. In addition, as I
13 mentioned, it would control migration of
14 contaminants under the river. Now as I
15 mentioned, we are recommending this alternative
16 with the provision to implement a second
17 extraction well should EPA and the State of
18 Wisconsin determine that this one extraction
19 well is not meeting our objectives, and that is
20 mainly whether or not alternative three
21 addresses the plume far enough north of Bos
22 Creek. The way that we will determine its
23 effectiveness is through monitoring of existing
24 monitoring wells and water quality and we will
25 basically determine how far the influence of

1 this extraction well extends and based on that,
2 we'll determine whether or not it is controlling
3 in the lower part of the plume. Okay.

4 I also want to mention real quickly
5 what our schedule for the final remedy at the
6 site is. We are in the process of preparing the
7 Remedial Investigation report. That will
8 encompass phase one of the RI that Ken went over
9 the results with you, and also phase two of the
10 RI, which we performed this summer. And
11 following that report, we will put together a
12 feasibility study for the site, and we are, that
13 is expected to be out approximately the spring
14 of 1989. Okay. Hand you back over to
15 Georgette.

16 Georgette Nelms: Before we begin our
17 question and answer period, I just want to
18 stress one point to each of you, and that is
19 that we would very much appreciate your asking
20 questions about what's being proposed here. We
21 realize that this information is technical, and
22 so that if there's any part of the information
23 that you don't quite understand or you need
24 clarification on, please feel free to just ask
25 and we'll try to get the information to you now,

1 right now, with the experts we have here now.
2 I'd like to see you challenge them. So if
3 there's any problem here, or anything that you
4 really don't understand, please, let's come on
5 with the questions, I'm very sincere and clear
6 on that.

7 The other thing is that before asking
8 a question, please understand that the meeting
9 is being recorded and that we would very much
10 appreciate it if you would give, if you would
11 give us your name, your affiliation, if you
12 like, but speak clearly so that it can be
13 recorded by both our recorders. And also, this
14 is very important, during the question and
15 answer period and following this period, when we
16 go into our comment period, we will be
17 entertaining questions and answers regarding
18 this particular site, Wausau well fill site. We
19 will not be entertaining any questions regarding
20 any other Superfund sites at this time. On that
21 note, I'll open the meeting to questions and
22 answers. Questions please.

23 Gene Lewis: Georgette, if I may
24 please.

25 Georgette Nelms: Yes.

1 Gene Lewis: Gene Lewis from WRIG in
2 town here. There's been a lot of technical
3 explanations here, which I appreciate. In just
4 plain English for a lot of us who are
5 non-technical, what does this all mean, how bad
6 is it, and how long is it going to take to clean
7 up, and who is going to pay for it?

8 Georgette Nelms: Okay. One of our
9 experts? Who would like to take that question?

10 Gene Lewis: Pardon me?

11 Margaret Guerriero: There's a lot of
12 questions asked.

13 Gene Lewis: There's three questions,
14 yes, I realize that.

15 Georgette Nelms: How bad is it.

16 Gene Lewis: Okay. Number one, how bad
17 is it really. If you'd get up to the microphone
18 so we could hear you please.

19 Margaret Guerriero: Sure. What
20 Michelle went over a little bit in her
21 presentation is the history of the ground water
22 contamination in Wausau and she mentioned that
23 one point as the city along with the DNR and a
24 grant from the EPA has installed two extraction,
25 or, I have extraction on the brain, two air

1 strippers on the city, at the city distribution
2 center, and to date, and a recent sampling has
3 shown that these air strippers are providing
4 ample protection to the public, meaning that
5 they treat the water to a level that is below
6 what the maximum concentration is allowed to be
7 in drinking water.

8 Gene Lewis: So at this point there is
9 no problem with the drinking water in the city
10 of Wausau?

11 Margaret Guerriero: Right.

12 Gene Lewis: Okay. And then that
13 answers the second one. And the third one, what
14 is the bottom line as far as the cost goes for
15 all these really neat things that everybody has
16 been explaining here tonight?

17 Margaret Guerriero: Well, the cost
18 for this interim remedy is about four and a half
19 thousand, \$422,000, for the construction itself,
20 and then the operation and maintenance per year
21 is in addition to that.

22 Gene Lewis: Okay. And the taxpayers
23 take care of how much?

24 Margaret Guerriero: It, I guess it's,
25 depends, it's all dependent on whether or not

1 EPA does this, doesn't influence the remedy or
2 the potential responsible parties, which the
3 city has been named as one.

4 Gene Lewis: The major one?

5 Margaret Guerriero: No, one of five.

6 Gene Lewis: Thank you.

7 Robert Ashur: I'm Robert Ashur from
8 Channel 9 in town. Along those same lines about
9 the five probable responsible parties when will
10 it be decided who is more responsible than the
11 other, when will that all take place?

12 Felipe Gomez: Felipe Gomez, I'm EPA's
13 attorney on this case. We currently have a
14 filed lawsuit seeking approximately \$500,000 in
15 past costs, which were incurred during the 1984
16 USEPA removal, wherein granulated activated
17 carbon filters were attached to the city water
18 system. Parties are potentially responsible as
19 identified by EPA. However, a judge will make
20 the final determination of liability as well as
21 how much, how much, how much responsibility and
22 how much cost should be paid by the parties.

23 Robert Ashur: And when will that take
24 place?

25 Felipe Gomez: Generally cost recovery

1 actions follow the final incurrence of cost, in
2 the remedial action, there can be more than one
3 cost recovery suit. For instance, in this case,
4 we filed suit for our past costs for the removal
5 action, and at the same time are currently
6 incurring costs for the remedial actions and
7 investigations, and it's possible that the suit
8 would be brought at the later date for that at
9 which time I, I, I don't have the knowledge.
10 It's too hard to determine at this time.

11 Georgette Nelms: Are there no more
12 questions? I mean we all understand what's
13 going on here with the phase plan of action?
14 Terry, yes.

15 Terry Rutlin: Terry Rutlin with the
16 Wausau Daily Herald. Will your final plan
17 address the contamination on the east side of
18 the river as well?

19 Margaret Guerriero: Yes. Are you
20 referring to what pointed the out what our
21 findings were?

22 Terry Rutlin: Right.

23 Margaret Guerriero: Yes, we will.
24 The final remedy will include all of the sites.

25 Felipe Gomez: I think one other item

1 for the record is that currently the city and
2 Marathon Electric are negotiating with the EPA
3 to try to implement the proposed alternative,
4 which the EPA has presented to you today, and we
5 hope to move along in those negotiations, and in
6 the spirit of cooperativeness, try to begin
7 jointly addressing the problems at the site
8 between the State, the federal government and
9 potentially responsible parties.

10 Terry Rutlin: I have one more
11 question, Michelle, this would probably be
12 directed or anybody from DNR. It seems like a
13 major difference between the city and EPA right
14 now is whether or not this water should be
15 treated after it is brought out through this
16 extraction well. EPA wants the water to be
17 treated through an air stripper and the city
18 wants it treated through an aeration riprap
19 system. Is it possible to have that riprap
20 system installed?

21 Michelle DeBrock-Owens: Well first of
22 all, the final decision has not been made on
23 what treatment is going to be used. Margaret,
24 you might want to explain why the air strippers
25 were chosen for the alternatives, and then I can

1 go in further when the, you know, the choice
2 will be made.

3 Terry Rutlin: Is it EPA's decision on
4 the final treatment or DNR's decision on final
5 treatment?

6 Michelle DeBrock-Owens: It is DNR,
7 when the design phase comes for the extraction
8 well and the treatment to take place, the DNR
9 will decide, with of course EPA helping us, but
10 it is our waste water people who will decide on
11 the final treatment, whether it be an air
12 stripper or passive, such like is in a Cascade
13 riprap system that you have referred to. But
14 that, that final decision has not been made
15 yet. That will be made during the remedial
16 design phase.

17 Margaret Guerriero: Okay. I'd like
18 to point out that EPA, it's not that EPA is
19 preferring air stripping over another treatment
20 for these volatile organic compounds. What we
21 are, the reason we have evaluated an air
22 stripper and costed out an air stripper in our
23 feasibility study is because the Clean Water Act
24 requires that when discharged to a body of water
25 whether it be a river, lake, stream, whatever,

1 is being proposed, that regardless of whether or
2 not, I shouldn't say regardless of whether or
3 not the limits are being met, but even if limits
4 are being met, the law says that you should
5 still evaluate and seek out what the best
6 available technology or treatment of that water
7 prior to discharge is, and that available
8 technology should be used prior to discharge.
9 So it's a law that we must follow that was laid
10 down by Congress in the Safe Drinking Water
11 Act. So what we, we use their stripping in our
12 feasibility study because we, it was relayed to
13 us from the DNR that air stripping would
14 definitely be considered a best available
15 technology for treatment, and it doesn't
16 necessarily mean that something else wouldn't be
17 as well. So for us to be able to evaluate
18 alternatives and to estimate costs, we used an
19 air stripper.

20 Felipe Gomez: The Clean Water Act,
21 not Safe Drinking Water Act.

22 Margaret Guerriero: I'm sorry.

23 Felipe Gomez: Also known as the
24 Federal Water Pollution Congressional Act, is
25 the official name.

1 Joe Gihan: Margaret, under alternative
2 number one, no action, you've indicated no cost
3 or the estimated O and M. Would it be fair to
4 say that if well six is going to be running
5 would that be fair game to cost that out into
6 that, because we knew that it costs us \$35,000 a
7 year to run the well when you're discharging to
8 the river?

9 James Lonsdorf: That question was by
10 Joe Gihan of the city of Wausau for
11 clarification of the record later.

12 Margaret Guerriero: I guess actually
13 what I should say is that there will be no
14 additional caution for treatment, therefore.

15 Joe Gihan: Over and what?

16 Margaret Guerriero: Treatment at this
17 time.

18 Joe Gihan: Over and above what it is
19 at this time?

20 Margaret Guerriero: Right.

21 Joe Gihan: Okay. What about alternate
22 number four, where you're going through use or
23 potentially use a south well and a north well
24 extraction system. Is it possible to converse
25 costs by treating it through one stripper?

1 Margaret Guerriero: Both of the
2 wells?

3 Joe Gihan: Yes.

4 Margaret Guerriero: Yes, and we did
5 not evaluate what that cost would be. We, we,
6 we used two separate strippers.

7 Joe Gihan: Oh, all right.

8 Margaret Guerriero: But it is
9 possible that the same stripper could be used
10 for both wells, two different wells.

11 Michelle DeBrock-Owens: If air
12 stripper is the choice.

13 Margaret Guerriero: Right, if air
14 stripper is designed, recommended.

15 Mark Johnson: Mark Johnson, Wausau
16 resident. If either two, three or four
17 alternatives are chosen, would those extraction
18 wells function with water supply wells after the
19 contamination is cleaned up?

20 Margaret Guerriero: No. They don't
21 use great enough, pump a great enough capacities
22 to, I would think, but no, that's not the
23 intention of. Haven't thought about that.

24 Jim Schafer: Jim Schafer, Wausau
25 resident. Several questions. This is a partial

1 remedy to a much larger situation, isn't it,
2 much larger problem?

3 Margaret Guerriero: Yes, yes.

4 Jim Schafer: Okay. So we're talking
5 half a million dollars. Several parties have
6 paid a lot of money to try to take care of part
7 of this problem already. What does the EPA
8 submit the final cost to clean up the whole area
9 is going to be?

10 Margaret Guerriero: Well, since we
11 haven't developed a feasibility study for the
12 final remedy, we haven't chosen different
13 alternatives, we haven't developed them, we
14 haven't evaluated them. I don't think we can
15 say at this point what the final remedy would
16 cost.

17 Jim Schafer: It would be four, five,
18 six million dollars?

19 Margaret Guerriero: It's really
20 impossible to say.

21 Jim Schafer: But it could be?

22 Margaret Guerriero: It could be.

23 Jim Schafer: Depending on what the
24 final outcome and what the EPA decides to do
25 with the whole site?

1 Margaret Guerriero: Right. It could
2 be. We've had sites that cost 30 million
3 dollars.

4 Jim Schafer: Now my next question.
5 You said in the fall of '89 you would have a
6 plan to finalize what would be done with the
7 whole site.

8 Margaret Guerriero: Right. In the
9 fall of '89 we will come forth with our proposal
10 for our final remedy at the site.

11 Jim Schafer: My question then is how
12 much is it going to cost to study how much it's
13 going to cost before you bring a proposal in
14 here to tell us how much it's going to cost in a
15 year from now.

16 Margaret Guerriero: Well, this is an
17 ongoing study that we started last year and last
18 year when we presented it out estimated cost was
19 one point one (1.1) million dollars, to complete
20 the study, and evaluate the alternatives. That
21 cost hasn't changed, our estimate is still the
22 same.

23 Jim Schafer: But you could run up a
24 million dollars between now and the fall of next
25 year?

1 Margaret Guerriero: Well, it wouldn't
2 be likely, because we've already, last year we
3 put down the schedule and budget, we haven't
4 varied too much from that. I should mention
5 that our, this phased feasibility study was
6 costed out separately, and there's a potential
7 that doing this additional work could, you know,
8 you know, at the end of the study be, could
9 increase to one point one million, I mean, I
10 guess.

11 Christine Diebels: Margaret, you might
12 bring out the fact that your accounting budget,
13 projects, I mean you've set a figure and
14 everything is budgeted, all the tax that might
15 be helpful.

16 Margaret Guerriero: When we start,
17 right.

18 Mark Johnson: But if we, if no one did
19 anything you could continue to drink that water
20 like we have been now for a year, two years,
21 three years, four years, five years?

22 Margaret Guerriero: The water that
23 you're drinking is treated.

24 Mark Johnson: Right.

25 Margaret Guerriero: So that the, the

1 levels are safe. What you're drinking is safe.

2 Mark Johnson: Right. That's the main
3 point I wanted to get across, right.

4 Margaret Guerriero: Thank you.

5 Felipe Gomez: Just to emphasis on the
6 point, the waters are safe based on the maximum
7 contaminant level set by the federal Safe
8 Drinking Water Act. The levels which they are
9 set at are also the levels which the analytical
10 devices cannot detect below, so when we say your
11 water is safe to drink, it's safe as determined
12 by the safe drinking water maximum contaminating
13 levels. However, it's unclear whether the
14 levels are zero or whether they're something
15 between zero and five micrograms per liter,
16 mainly because of the fact that devices are not
17 capable of detecting below that limit and I see
18 Mr. Gihan shaking your head there.

19 Joe Gihan: Detection limits are a lot
20 lower than the standards. We're down to tenth
21 or two tenths. Whereas the standard is five
22 parts per ml.

23 Felipe Gomez: My understanding is
24 that the acceptable detectable limit is
25 equivalent, is one? Okay, so I stand corrected

1 then. One microgram per liter or less. But
2 we're not saying that they're zero but it is
3 safe to drink.

4 Joe Gihan: I might be willing to say
5 it's nondetect, which is a lot different than
6 detect.

7 Felipe Gomez: But it's different from
8 zero as well is it not.

9 Joe Gihan: You, it may be, sir. You
10 can't say it's not zero.

11 Felipe Gomez: And you can't say it
12 is.

13 Joe Gihan: You're right.

14 Ken Quinn: There's an enforcement
15 standard here too what's legally defensible in
16 court is another value.

17 James Lonsdorf: Margaret, Jim
18 Lonsdorf, special counsel for the city of
19 Wausau. You mentioned some additional costs,
20 but isn't it correct that insofar as the cost of
21 the phase feasibility study which was conducted
22 by Warzyn Company that in fact that was a cost
23 that was shared by the city of Wausau and
24 Marathon Electric and was paid in advance to the
25 EPA, so that you weren't including that, were

1 you?

2 Felipe Gomez: Which costs are you
3 speaking of?

4 Jim Lonsdorf: The \$50,000 for the
5 study that was just done.

6 Felipe Gomez: I'm not aware of that
7 having been paid yet.

8 Margaret Guerriero: Well, the reason
9 I tacked it on, I said it could be tacked on to
10 the one point one (1.1) million was because we,
11 even though it's been discussed at that the city
12 and Marathon Electric are interested in paying
13 that amount, since it hadn't been determined, or
14 it hasn't been settled.

15 Felipe Gomez: Are you stating that it
16 will be paid by the city and Marathon Electric?

17 Jim Lonsdorf: Well, that was a
18 portion of the agreement, was it not, with the
19 Environmental Protection Agency, upon which you
20 went ahead?

21 Felipe Gomez: Correct. We had
22 negotiations of what it was discussed, the city
23 and Marathon Electric would pay for that. But I
24 was not aware of it having been paid and if you
25 are then that would be new information to me.

1 James Lonsdorf: It was my
2 understanding that that was to be invoiced to us
3 and to be paid.

4 Felipe Gomez: To be paid.

5 James Lonsdorf: When invoiced.

6 Felipe Gomez: Okay.

7 James Lonsdorf: But you were not
8 including that or were you including that?

9 Margaret Guerriero: What I was
10 saying, was that we estimated the study was
11 going to cost one point one million (1.1)
12 dollars. What I mentioned about the additional
13 money for the feasibility study was since we
14 haven't, there hasn't been a definite settlement
15 and it hasn't been paid that it could, it could
16 be added on, but it wasn't at one point one
17 (1.1) million that we had already estimate.

18 Felipe Gomez: One other point with
19 regard to Superfund funding. The funds that are
20 derived from the Superfund are not derived from
21 the taxpayer funds. They're derived from a
22 direct tax on federal stock for the various
23 industries that produce toxic and hazardous
24 chemicals. So it is not taxpayer dollars that
25 you're speaking about when EPA investigates a

1 site. It is, it is tax dollars, but they're not
2 tax dollars that come from the general FISC.

3 James Lonsdorf: Unless a PRP happens
4 to be a municipality.

5 Felipe Gomez: Well, in that
6 eventuality then that particular PRP would draw
7 on whatever funds it has it's in availability.
8 Some of those funds could be taxpayer funds,
9 there could be alternate funds or sources as
10 well.

11 Terry Rutlin: Terry Rutlin from the
12 Daily Herald again. How much has the EPA spent
13 so far at that site to date?

14 Felipe Gomez: Approximately one and a
15 half million dollars.

16 Person in crowd: Margaret, are we in
17 the question and answer phase yet or in the
18 public comment phase?

19 Margaret Guerriero: Well, after the
20 question and answer, we'll go to the public
21 comment. Once we're finished with the
22 questions.

23 Georgette Nelms: Was that designed to
24 move me to?

25 Person in crowd: No, I was wondering

1 where we are much like where we are with the
2 pollution thing.

3 Georgette Nelms: Do we have any more
4 questions, are we?

5 Joe Gihan: Joe Gihan from the city,
6 mentioned one point five million. Does that
7 include the, the work that was done on the
8 emergency response or only the work that's been
9 done?

10 Felipe Gomez: That's a lump sum to
11 date, EPA at the site. That includes removal
12 cost.

13 Joe Gihan: Does that include that five
14 hundred thousand for that GAC unit.

15 Felipe Gomez: Yes.

16 Joe Gihian: So that number includes
17 the number you just gave us, all the work since
18 1984?

19 Felipe Gomez: Approximately one point
20 five million dollars, and that was the figure I
21 was given about approximately a month ago. So
22 the costs are probably somewhat higher than that
23 now, but not by any more than \$10,000.

24 Mark Johnson: Mark Johnson again, is
25 the old city landfill continuing to impact

1 ground water quality and could the situation get
2 worse?

3 Georgette Nelms: Who is going to take
4 that one?

5 Ken Quinn: I'll take it. The city
6 landfill or the vicinity around the city land
7 fill has not been, there's been no action taken
8 to stop contaminants from leaving the area and
9 it appears to be a relatively old source, and so
10 that we don't expect concentrations to increase
11 beyond what they are right now.

12 Georgette Nelms: Are there any other
13 questions? If not, I'd like to open the hearing
14 for public comments. I'd like to also say that
15 if at this point you don't feel that you want to
16 make a comment because you're just not ready or
17 because you need to review our fact sheet some
18 more or whatever, on your fact sheet you will
19 see at the bottom of the second page, my name
20 and address here. You can send in a comment to
21 us. The dead line on that is midnight, October
22 24. For those of you who are prepared to make a
23 comment at this time, we encourage you to do
24 so. Again, please let us know who you are in a
25 nice clear voice and we'll take your comments.

1 Wayne Kleinschmidt: I'm Wayne
2 Kleinschmidt, city of Wausau. Members of
3 Warzyn, EPA and DNR. After review of the EPA's
4 proposed plan for remedial action and acting on
5 behalf of the residents in the city of Wausau as
6 the council president, I would encourage the EPA
7 immediately approve alternate three to solve the
8 extraction well. Since the city and Marathon
9 Electric had offered earlier this year to
10 proceed with this corrective measure, I would
11 reiterate our offer to expedite this
12 installation. Without this corrective measure,
13 we continue to place our west well field at
14 risk, at risk. Especially the clean wells. We
15 feel very strongly the extraction wells should
16 be installed this fall and placed in operation
17 as soon as possible. Since I also need to
18 justify this expenditure to my constituents, I
19 feel it is prudent to proceed with a passive
20 treatment prior to discharge to the Wisconsin
21 River.

22 I also would like to make a plea that
23 the EPA release the necessary engineering
24 documents that would define the recharge area
25 and protection zones around our wells. The city

1 is very interested in developing a well head
2 protection ordinance and needs this technical
3 data to proceed. We can no longer put at risk
4 Wausau's present and future water supply. Based
5 on what has been learned, it is imperative we
6 proceed immediately. I thank you.

7 Georgette Nelms: Thank you.

8 John Robinson: I'd like to officially
9 welcome you to Wausau, John Robinson, Mayor of
10 the city. I think we ought to give you from our
11 perspective a brief history of where, where we
12 are or how we got here. In September of last
13 year a proposal was developed on the part of
14 Marathon Electric and the city of Wausau calling
15 for the installation of the extraction wells.
16 In October of a year ago, it was proposed and
17 presented to the EPA. On April 29 of this year,
18 I had my first opportunity to experience this,
19 and we met again with the EPA in Chicago to try
20 to put forth the reasons where we thought that
21 the extraction well should be located. At that
22 time we agreed to pay our portion of the \$50,000
23 to have a phased plan go into effect. And this
24 is the result of that, and we're concerned
25 because we thought and we hoped that we would

1 have had this season to have that, that
2 extraction well in place, and because of the
3 inner workings of the EPA and others, we were
4 unable to arrive at that this year, so we've
5 lost one construction season and further
6 compounded in our estimation the problems
7 associated with that ground water clean up.

8 The city and its water utility have
9 not been putting their head in the sand and
10 trying to avoid this issue. From, from the date
11 that we first were notified of contaminated
12 water, we have initially started blending our
13 water, and in an attempt to hold down the
14 contaminants to meet the standards. After that
15 did not work the, the granulated carbon was
16 used, and later air strippers were installed,
17 and the grant that you talk about is part of
18 that one point five million dollars which the
19 PRP's, of which the city of Wausau is one, will
20 be repaying, and it is not a free grant to the
21 citizens of Wausau. Some firm or taxpayers will
22 wind up paying for that.

23 We've also taken well number six,
24 which is one of the contaminated wells and we've
25 pumped that into the river, and pumped it into

1 the waste system to try to, to keep it out of
2 our system. We no longer use that and until we
3 recently completed our water line from the west
4 side to the east side so we could run that water
5 through our air strippers and we've made the
6 commitment to proceed with the extraction well.
7 We've also begun work on a ground water
8 protection ordinance. Tonight I'm here as the
9 Mayor, as the president of the water utility, as
10 a person concerned about the environment and
11 also as a person being sued by the EPA, and
12 we're concerned about your recommendation, we're
13 concerned about it and would recommend that you
14 adopt 3A which was embodied in the testimony of
15 the EPA and which was our original proposal
16 which would call for the installation of an
17 extraction well at the southern site with that
18 be pumped using riprap or rocks to aerate that
19 water and to take out the volatile organic
20 compounds, which is a simplified air stripping
21 system, and then discharging it into the
22 Wisconsin River. It saves us money, recognizing
23 that the action that we are taking is not final
24 action, that there is a great deal more that
25 needs to be done, we would strongly request that

1 other comments, I would like to remind you again
2 that there's still time to make comments and if
3 you'll check on your fact sheet, you'll see our
4 name and address listed on that. We will be
5 accepting public comments through October 24
6 midnight. At this point, and if there are no
7 other comments, this hearing, we'll bring this
8 hearing to a close. I want to thank the Mayor,
9 Mayor Robinson has been very cooperative, and I
10 really appreciate his taking the time, him and
11 members of the council to listen to us earlier.
12 We did a dress rehearsal in front of them and
13 also for providing this place for this hearing.
14 Thank you very much. Good night.

15 (Whereupon proceedings were concluded
16 at 8:10 pm.)
17
18
19
20
21
22
23
24
25

